

1 WORKGROUP FOR GLOBAL AIR PERMIT POLICY DEVELOPMENT FOR
2 TEMPORARY OIL AND GAS DRILL RIGS

3
4 TENTH MEETING

5
6
7
8 February 4, 2016

9
10 Anchorage, Alaska

11
12
13 Present:

14
15 Denise Koch, Chair (telephonic)
16 Tom Turner, Moderator
17 Dave Bray (telephonic)
18 Gordon Brower (telephonic)
19 Tom Coulter (telephonic)
20 Tom Damiana (telephonic)
21 Wallace Evans (telephonic)
22 Don Fremgen (telephonic)
23 Robin Glover
24 Deanna Huff (telephonic)
25 Joshua Kindred
26 John Kuterbach (telephonic)
27 Ann Mason (telephonic)
28 Dave Maxwell (telephonic)
29 Mike Munger (telephonic)
30 John Neason
31 Greg Nichols
32 Julianna Orczewska (telephonic)
33 Allen Peck (telephonic)
34 Laura Perry
35 Mike Peters, Doyon
36 Tiffany Samuelson (telephonic)
37 Alan Schuler (telephonic)
38 Rebecca Smith (telephonic)
39 Brad Thomas
40 Al Turbovich (telephonic)

1 MS. KOCH: It is after 1:00 so I think that we could
2 get started. I just wanted to quickly welcome everybody
3 back to the Drill Rig Workgroup discussion. Always, of
4 course, keeping in mind our goal of this whole group, if
5 there are any -- for the benefit of other people who are
6 listening, which is to obtain operational flexibility for
7 temporary drill rigs while protecting our quality is our
8 overarching goal.

9 Our last meeting was October 30th. Most of the --
10 there was some updates on the whole process given at that
11 October 30th meeting, just because there had been a long
12 hiatus since the prior workgroup meeting. And then kind of
13 the meat of the October 30th meeting was the Technical
14 Subgroup's members presenting some of their consensus work
15 for the North Slope. And the Technical Subgroup was
16 comprised of both industry, AECOM, and DEC members.

17 And then the main conclusions, in terms of the
18 decisions on the next step, that we came to at that October
19 30th meeting is we -- project that we were, as a -- as a
20 group, that we were ready to move forward to some policy
21 discussions.

22 We kind of reconvened the Options Subgroup. There was
23 a decision on membership of that action subgroup that
24 consists of Brad Thomas, representing ConocoPhillips and the
25 Alaska Support Industry Alliance; Joshua Kindred, from AOGA;

1 John Kuterbach, who's the permit program manager at DEC; and
2 Tom Turner, who is -- works under John in the permit
3 program.

4 For this meeting, this is also being transcribed. And
5 as Tom mentioned, please, before you provide comments,
6 please state your name so it will be obvious for everybody
7 on this teleconference.

8 The slides for this presentation of this meeting are
9 really the meat of the presentation. So after -- as the
10 Options Subgroup is going through the presentation, we're
11 going to pause after each slide and provide people an
12 opportunity to ask questions or to have discussion points.

13 And I think with that, we're probably ready to start
14 with introductions. We can start here in Juneau. I'm
15 Denise Koch. I'm the director of air quality for the Alaska
16 Department of Environmental Conservation.

17 MS. HUFF: Deanna Huff in Juneau. And I'm a modeler
18 in the (indiscernible) Group underneath Denise and Cindy
19 Huff (ph).

20 MS. KOCH: I should probably interject. If people who
21 are -- once we're doing the introductions, if people could
22 identify themselves as either being a Main Workgroup member
23 or if you participate as a Technical.....

24 MS. HUFF: I was Technical -- Technical Workgroup
25 member.

1 MS. KOCH:Workgroup, that would be helpful.

2 Thank you.

3 THE REPORTER: What was your name?

4 MR. KUTERBACH: John Kuterbach from the Air Permits
5 Program manager and a member of the Main Workgroup.

6 MR. TURNER: Deanna Huff.

7 MS. SMITH: I'm Rebecca Smith with Tech Services
8 Support.

9 MS. KOCH: Okay. That's it for Juneau. So we could
10 go to Anchorage.

11 MR. TURNER: We're going to go to Anchorage with DEC,
12 make the rounds and then go to the phone. Denise, before I
13 proceed, clarification. After each slide do you want me
14 just to make the rounds or do you want to just want to do it
15 out of Juneau, for questions?

16 MS. KOCH: Tom, thank you for that -- for that
17 clarification. This is Denise Koch speaking. And we're
18 going to have Tom Turner act as facilitator. So after each
19 one of these slides, Tom will probably go around to the
20 different locations and prompt to make sure there's no
21 questions or discussions.

22 MR. TURNER: Okay, great. Thanks. So this is Tom
23 Turner. I'm with DEC Air Quality, Tech Services manager.

24 MR. MUNGER: I'm Mike Munger. I'm with the Cook Inlet
25 Regional Citizens Advisory Council.

1 MR. NEASON: John Neason. I'm with Nabors Alaska
2 Drilling.

3 MR. KINDRED: I'm Josh Kindred. I'm with the Alaska
4 Oil and Gas Association.

5 MR. THOMAS: Brad Thomas with ConocoPhillips. I'm a
6 committee member, as is Josh.

7 MR. KINDRED: Oh, sorry. Oh, yeah.

8 MR. MUNGER: So am I. Main Committee member. Sorry.

9 MR. TURNER: That was Mike Munger speaking.

10 MR. MUNGER: Yeah. That was Mike Munger.

11 MS. PERRY: Laura Perry with ConocoPhillips.

12 MS. GLOVER: Robin Glover with BP.

13 MR. TURNER: That's it for Anchorage. We'll now go to
14 the phone starting with anybody in the Lower '48, outside of
15 Alaska.

16 MR. KUTERBACH: Tom?

17 MR. TURNER: Yes, John?

18 MR. KUTERBACH: Could I -- we have a list of the
19 people who have called in and we'll just let Rebecca call
20 out their names and they can tell who is in their location.

21 MR. TURNER: Oh, I love that. Go for it, Rebecca.

22 MS. SMITH: Okay. It looks like we have some people
23 who may not have actually dialed in on the system yet so I'm
24 showing Al Turbovich has signed in.

25 MR. TURBOVICH: Yes, I'm here. And I am in my office

1 by myself.

2 MS. SMITH: Okay. Allen Peck.

3 MR. PECK: I'm with BLM, an interested stakeholder
4 (indiscernible).

5 MS. SMITH: And are you all by yourself?

6 MR. PECK: Yes.

7 MS. SMITH: Great. Ann Mason.

8 MS. MASON: Yes, I'm in Anchorage with SOR. And I am
9 by myself.

10 MS. SMITH: Okay, good. Dave Bray.

11 MR. BRAY: Yep, I'm here in Seattle. And I'm by
12 myself as well.

13 MS. SMITH: And you are with? For those who don't
14 know.

15 MR. BRAY: Oh. EPA.

16 MS. SMITH: Carl or Tom, I'm not sure which, Coulter.

17 MR. COULTER: Yeah, this is Tom Coulter calling in
18 from BLM and the National Operations Center down here in
19 Denver. And I am by myself, all alone, by my lonesome.

20 MS. SMITH: Okay. Greg Nichols.

21 MR. NICHOLS: Yes, this is Greg Nichols. I'm also
22 with the BLM's National Operations Center. And I am at my
23 desk alone.

24 MS. SMITH: Okay. Dan Fremgen. Was at his desk here
25 in Juneau. He's with DEC. Julianna -- I'm not going to

1 attempt your last name, because I don't want to butcher it.

2 MS. ORCZEWSKA: That's okay, thanks. This is Julianna
3 Orczewska with Hilcorp. And I'm by myself.

4 MS. SMITH: Okay, thank you. Tiffany Samuelson.

5 MS. SAMUELSON: Hi, this is Tiffany Samuelson from
6 ACOM in Fort Collins, Colorado. Me, along with Tom Damiana,
7 have been supporting the Technical Subgroup in the Jury (ph)
8 Denali Season Modeling for the North Slope and Cook Inlet.
9 And I am by myself currently.

10 MS. SMITH: Okay. And Alan Schuler.

11 MR. SCHULER: I'm a DEC air permit modeler on the Tech
12 Support Group. And I'm by myself.

13 MS. SMITH: And Wally Evans.

14 MR. EVANS: Yeah. Wally Evans with Hilcorp. I'm on
15 the Technical Subgroup Committee also. And I'm by myself.

16 MS. SMITH: Thanks. Tom, has anybody else joined you?

17 MR. TURNER: No.

18 MS. SMITH: Okay. We just had somebody else join. I
19 just heard another beep.

20 MR. DAMIANO: This is Tom Damiano.

21 MR. MAXWELL: Dave Maxwell with the BLM.

22 MS. SMITH: Okay.

23 MR. MAXWELL: Hi.

24 MR. DAMIANO: And this is Tom Damiano.

25 MS. SMITH: Hello, Tom.

1 MR. DAMIANO: Yeah, with ACOM. I just dialed in, not
2 on the WebX, so maybe that's the one that showed up.

3 MS. SMITH: Ah, that could be it. Not Tom. Okay. Is
4 there anybody else whose name we did not hear? Okay, I
5 think that's all. And we'll go ahead and turn this back
6 over to Tom for (indiscernible).

7 MR. TURNER: Okay. Welcome, everybody. As Denise
8 said, we have an oil and gas PowerPoint. It is on the
9 GoToMeeting. If someone doesn't have the GoToMeeting, it's
10 on our website and it's attachable there. Everything has
11 been posted to the website so minutes, transcriptions,
12 everything is there. We're going to go ahead with the
13 presentation out of Juneau. And then this is going to be
14 interesting facilitation, because we have a whole bunch more
15 people on the phone and it looks like new interested
16 parties. And so after each slide, I'm going to go through
17 Juneau then Anchorage then through the phone. If there's
18 feedback and dialogue, I'll try to pick up what's going on
19 in the room. And people, I just ask to be patient, collect
20 your thoughts and then bring them back up. If that is the
21 case, I would encourage everyone to put their phones on mute
22 so we don't have side dialogues rustling. I'm going to do
23 that in Anchorage and turn over to the presenter for the
24 PowerPoint or to Denise.

25 MS. SMITH: I'm sorry, Tom. Could you repeat that,

1 please.

2 MR. TURNER: I'm going to -- we're going to turn this
3 back over so we can start the presentation to whoever is in
4 Juneau.

5 MS. KOCH: Yes, that would be -- that would be up to
6 John or Brad who's going first on the presentation, and
7 they'll jump right in.

8 MR. TURNER: John's going to go first according to Mr.
9 Thomas.

10 MS. KOCH: You guys -- everybody on the GoToMeeting
11 you can see my screen?

12 MR. TURNER: Yes.

13 MS. KOCH: Okay.

14 MR. KUTERBACH: So the first thing we did at the
15 Options Committee, and you can see our names there on the
16 screen, was to agree upon what our goal was in evaluating
17 options. And after some discussion, we decided that our
18 goal was to recommend technical sound and statutorily
19 approvable approaches that would reduce the current
20 requirements for permitting while still ensuring that the
21 portable oil and gas operations don't endanger short-term
22 air quality standards. To the next slide.

23 So in achieving -- in looking at that goal, we looked
24 at the Technical Committee's work. We wanted to see, well
25 what those conclusions were. As I understand it -- as we

1 understood it, right now they -- the conclusions are only
2 valid for the North Slope. We're still waiting on some
3 modeling to be done on the Cook Inlet area so they can then
4 come up with a decisions there. And based on that work,
5 unrestricted drilling, as it's currently happening,
6 compliance with air quality standards, that could operate in
7 a manner that modeling would not predict compliance for.

8 So given that, we agreed that there needed to be,
9 under statute, some way to address that operation that could
10 possibly violate air standards. So to address it, we looked
11 at -- the main effort that we've been expending on was fuel
12 and exhaust limitations based on the technical work that
13 we've done and reasonable operations scenario. At our last
14 meeting, Brad had presented kind of an outline of what he
15 thought those types of restrictions would look like.

16 But I didn't want to leave it at just that as the only
17 option we investigate in detail. We had also talked earlier
18 in the process about expanding ambient monitoring and
19 getting away from a modeling approach for these operations,
20 like Wyoming, I believe, does for mining. It uses more of a
21 modeling approach -- a monitoring approaching rather than a
22 modeling approach.

23 And the other one would be to have somewhat of a quasi
24 permit. Rather than imposing the restriction,
25 (indiscernible) restriction, they would be required, as kind

1 of a trigger level, that would specify when you exceeded
2 that then you would need to go through kind of normal
3 permitting and modeling for the source specific conditions.
4 Let's get to the next one.

5 So the Technical Committee looked at all the options,
6 and we are recommending the first option, the one that we
7 had spent the most time and work on, the fuel and exhaust
8 limitation.

9 And the basis for that is that it has a sound
10 technical basis. We've done quite a bit of technical work
11 to prove that it will do what it says it does. Most of the
12 operations are not going to be impacted by (indiscernible)
13 these types of limitations, because most of them operate
14 well below these limits. It prevents, rather than responds,
15 to air quality violations, like the trigger level might.
16 And there's no need for expensive ambient monitoring or
17 case-by-case modeling.

18 So with both those combinations of things being
19 believed the most palatable of the various solutions that we
20 looked at. And I can stop right here.

21 So I'd like to take a pause at this point and go back
22 to slide number three, and have Brad add anything that he
23 would like to add about what we looked at, what our goal
24 was, and open it up for discussion or questions from the
25 rest of the group.

1 MR. THOMAS: This is Brad Thomas. I don't have
2 anything to add so we can just open it up for questions.

3 MR. TURNER: Okay. This is Tom. So just so everybody
4 remembers, the formation is the Main Workgroup members of
5 the primary speakers and -- are the ones that we are going
6 to go through first with questions. I didn't hear if Gordon
7 and the DNR rep was on the phone, but I do know Mike is
8 here. And then, Denise, if it's okay, we can open up
9 questions to the group? Okay?

10 MS. KOCH: So let's see how long the workgroup members
11 kind of discussion takes and maybe we could adjust based on
12 that, but let's start with any workgroup member's comments
13 or questions at this point.

14 MR. TURNER: So I'm going to start actually in
15 Anchorage. Mike's -- you know, mungling (sic) up to the
16 microphone. So go for it, Mike.

17 MR. MUNGER: Hi, Mike Munger with CIRCAC. It seems
18 like a practical approach, and I'm anxious to hear a little
19 bit more about that. I will throw out the question right
20 now, though, and I don't who can answer this. But when are
21 plans -- what's the plan for the beginning of modeling in
22 Cook Inlet? Which I'm, of course, very interested in.

23 MR. THOMAS: This is Brad Thomas. It has begun and
24 these changes are occurring within ADEC right now. And we
25 suspect the modeling to be concluded within six weeks or so.

1 How long it will take ADEC to complete their review, I don't
2 know. So I'll let Alan Schuler or Denise or Don speak to
3 that.

4 MR. MUNGER: Okay, thank you.

5 MR. TURNER: For the record, Gordon, Main Workgroup
6 member, has joined us. Welcome, Gordon.

7 MR. BROWER: (Indiscernible -- away from microphone.)

8 MR. TURNER: Okay.

9 MS. KOCH: And then, Tom, I had received an email from
10 Corri from DNR. She had, I believe, legislative testimony
11 she had to do today so she was not going to be able to join
12 us.

13 MR. TURNER: Denise, do we want to give Gordon an
14 opportunity to catch up? How would you like to proceed?

15 MS. KOCH: I think -- I think we do need to catch
16 Gordon up. I think that would be very important. John, I
17 don't know if you could recap for slides three and four,
18 please, so Gordon has an opportunity to respond?

19 MR. KUTERBACH: Okay, Gordon. So actually I'd love to
20 go back to slide number two.

21 MR. TURNER: It's the one on the screen here.

22 MR. KUTERBACH: We looked at the goals for the Options
23 Committee. And we decided the goal was the recommend the
24 technically sound and approvable approach that would reduce
25 the current requirement, but still protect air quality.

1 And based on the technical work that's been done this
2 far, we have general agreement that unrestricted drilling on
3 the North Slope, as it currently occurs, compliant with air
4 quality standards, but could operate in a manner that
5 modeling would not show compliance for. So we needed to
6 address that possibility.

7 We looked at three possible ways of doing it. Our
8 first way was looking at fuel and exhaust limitations based
9 on the technical work that we've done, just kind of modeled
10 on what Brad had presented at our last meeting as a way we
11 could move forward with changes to permitting.

12 Two other ones that we discussed briefly in the
13 Options Committee were expanding ambient monitoring and
14 reducing permitting by relying on the ambient monitoring or
15 using a registration and fuel use record as a trigger for
16 case-by-case permitting at higher levels than we was
17 currently the case. Go to the next page.

18 So then given the various factors, the Options
19 Committee concluded that we should recommend the fuel and
20 exhaust limit, kind of modeled after what Brad had
21 presented, because they have the sound technical basis.
22 Most of the operations are well below these limits so that
23 the actual limits aren't going to affect the day-to-day
24 operations that significantly. It will prevent, rather than
25 respond, to a potential air quality violation. And we can

1 avoid additional expenses, monitoring or the time consuming
2 and expensive case-by-case modeling that the other
3 approaches would fail.

4 And now we're taking questions and comments from the
5 workgroup members on the presentation to this point. Mike
6 had just asked about the Cook Inlet area since we haven't
7 had the modeling. Brad indicated that there is modeling
8 going on there. And I'd like to pass the baton to Alan
9 Schuler, who is on the line, to say where the State is in
10 that process and what the State's timeline would be.

11 MR. SCHULER: Yeah, this is Alan Schuler with DEC.
12 What we're actually waiting for is the (indiscernible) to
13 submit the modeling. In a brief, Brad said that timeline is
14 about six weeks. So once we receive it, we'll have to
15 review it.

16 MS. KOCH: Okay, thank you, Alan. Gordon, I want to
17 make sure you have an opportunity to ask any questions or
18 have comments on anything that has been stated so far.

19 MR. BROWER: I don't have any comments right now or
20 any questions. But it's pretty interesting to see what the
21 findings are starting to look like.

22 MR. TURNER: Denise, do you want to entertain
23 questions from interested parties or anybody on the phone?

24 MS. KOCH: I would like to hold off on the questions
25 from interested parties until we're at the end of the

1 presentation.

2 MR. TURNER: Okay, thank you. Then since the
3 workgroup members have spoke, it's back to you, John.

4 MR. KUTERBACH: Well I hate to be the only one
5 presenting, because this was a joint effort among all of us,
6 not just -- not just the DEC saying.

7 But then looking at the recommendations for imposing
8 these limits, then we need to look at what vehicle should we
9 use to actually put that obligation on the portable oil and
10 gas operations. And we came up with three possible ways of
11 doing that.

12 The first thing we could do is we could just put those
13 limitations directly into a regulation. And, you know, it
14 would just be written into the regulation. There wouldn't
15 be any application or permit, per se. The operations would
16 just have to comply with it and we would have to send
17 inspectors out to spot check to make sure they were.

18 The other thing that we could do in regulation would
19 be to adopt the permit by rule. This is similar to the
20 direct regulation, but it would have kind of a notice
21 component where the permittee would basically register that
22 they are operating under the permit by rule. So it's very
23 similar to the direct regulation, but it provides a little
24 more information for the department.

25 Another (indiscernible) being very similar, had some

1 of the similar characteristics. First, they would have to
2 have a regulation project, which can take six to nine months
3 or even longer depending on the priority, the Department of
4 Law, and the Governor's Office, and the Commissioner's
5 Office. Neither of those would have an application. They
6 are -- since they are in a regulation, they would be
7 difficult to change once they were set and you'd have to go
8 through a whole new regulation process, which can be a good
9 thing or it could be a bad thing. It's good if it, you
10 know, they're not changing frequently or source by source.
11 But then if we find that there's need for changes, it's more
12 difficult to make those changes.

13 One of the big factors on this is since the regulation
14 of portable oil and gas operations is part of our state
15 implementation plan approved by EPA for protecting air
16 quality, the regulation change, if necessary here, would be
17 a change to that plan. And, therefore, it would have to be
18 approved by EPA as a SIP change, a state implementation plan
19 change. And there's a fairly extensive process for getting
20 SIP changes. It has to be published in the Federal
21 Register. And there's certain requirements as to what we
22 have to submit.

23 The other way we could impose these limitations is
24 using our current regulations in our current authority to
25 issue permits. We could issue a general permit. This can

1 be issued under the current regulation. It would still
2 require drafting something out, putting it out to public
3 notice, taking public comment, and finalizing the general
4 permit, just like the minor general permit number one that
5 most of you would be familiar with for exploratory drilling.
6 So this would be a new minor general permit. It does
7 require an application for the permit, but it doesn't
8 require case-by-case review of the operation like the
9 current permit system does.

10 As long as your application is complete and your
11 operation meets the qualifying criteria, it gets issued when
12 we receive the complete application. Okay?

13 It's relative easy for us to update that. We do have
14 to run the public comment process, but we don't have the
15 Department of Law regulations review. It doesn't have to be
16 filed with the Lieutenant Governor. The Commissioner
17 doesn't have to sign off on it. There are a lot of
18 administrative requirements that are at the -- well
19 basically at my level to issue the permit. So it's quicker
20 to change.

21 The other advantage is that it does not change our
22 state implementation plan. We already have in our state
23 implementation plan that we can issue general permits and
24 for minor general permits. So this would just be exercising
25 that option under the already approved plan. So there's no

1 EPA SIP approval, no Federal Register notice, none of that.

2 The one fly in the ointment would be that because our
3 technical analysis used some non-guideline modeling
4 techniques, we are obligated under federal regulation to
5 have that use approved by EPA. But that use is not
6 something that's published in the Federal Register. It is a
7 decision -- formerly, it was done at Region 10, but they
8 just recently lost their modeler and they now have to go to
9 North Carolina to OAQPS to get approval of that. Dave Bray
10 can speak, hopefully, to how that's working right now.
11 That's what we're waiting on as far as the North Slope
12 modeling is for OAQPS to approve the use of the PDMMR
13 technique for NOx model. Did I get that right, Alan?

14 MR. SCHULER: You did. Very good job.

15 MR. KUTERBACH: Thank you.

16 MS. KOCH: So this is Denise Koch. John, I was
17 wondering if you could speak to, in a general timeframe,
18 talk about some of the steps associated with an EPA approval
19 for a SIP change if we wanted -- with the direct regulation
20 or permit federal approach versus general permit where EPA's
21 scope of approval is a much narrower approval to just a
22 modeling method. And, therefore, I would assume that it
23 would be a much faster approval process. But I was
24 wondering if you had any general estimates of how long it
25 takes to do -- the EPA to do SIP approval changes versus

1 modeling. Or maybe that's something that Dave Bray could
2 speak to.

3 MR. KUTERBACH: Well, I don't want to put Dave on the
4 spot speaking for modeling. Modeling -- or even the SIP
5 changes. The SIP changes can take a long time or they could
6 take a really short time. It depends on the motivation at
7 EPA and, you know, the importance of the change. And, quite
8 frankly, our prioritization of what we want them to work on.
9 So I'm going to let Rebecca give a sense of some of our
10 stationary sourced SIP changes and how long it takes.

11 MS. SMITH: This is Rebecca Smith. I work with the
12 SIP folks at EPA in Region 10. Some of the more recent
13 changes that we sent to them have gone through their system
14 in less than a year. Some of them about six months from
15 when we submitted to them to when they've gone out to the
16 proposed approval and the Federal Register and then all the
17 way through the -- the final approval and being affected.
18 They have caught up on their backlog of our approvals and so
19 I think that they are trying to be more prompt at getting
20 through our approvals. And I know that they have another
21 lump of things that have just been approved and another big
22 crunch of packages. And so I would think that it might not
23 -- you know, it wouldn't take six years like some things
24 have in the past. On the other hand, they are also short
25 staffed so I can't speak to their staffing issues.

1 MR. KUTERBACH: And the priority right now for Alaska
2 has been in SIP approve -- what's the highest priority for
3 this?

4 MS. SMITH: I believe that the highest priority ones,
5 at this point, are ones that have come out of the Nonpoints
6 Search Group. And certainly they will be getting some more
7 of those, they're the Fairbanks area PM 2.5 issues,
8 submitted to them fairly soon. And that, I believe, is
9 probably a highest priority both for EPA and for the
10 department. I believe that the other ones that are there
11 from the permitting side are much more minor and a much
12 lower priority both for the department and for EPA to get
13 to. But they have been trying to be responsive about
14 getting to things now that they have gotten through a large
15 number of approvals that were in the backlog system.

16 MR. TURNER: Just one comment. This is from Tom,
17 John. My experience also with that is if it's a clear --
18 just a regulation change, like the fees, they go through
19 fairly quick. If there's some type of technical background
20 behind it that is causing the SIP to change, EPA reviews
21 that a little bit with more scrutiny, because it's not as
22 clear why we're doing it. So a lot depends upon the
23 technical basis behind or if it's just simply a regulation
24 adjustment. Okay, thank you.

25 MR. KUTERBACH: And this is John, again. Denise, you

1 asked about -- well what about the modeling approval? And
2 that's going to be hard to answer. And I'm going to, again,
3 kick this to Alan, because previously when Region 10 had a
4 dedicated modeler, you would deal directly with that person
5 and it was quicker. Now they have to get some interface
6 from OAQPS. They have approval for a modeling position to
7 hire an experienced modeler. I don't know where they are in
8 that process of hiring a modeler. But, Alan, do you have
9 any idea of how long approval of PVMRM would probably take?

10 MS. SCHULER: Well, yeah, yeah. This is Alan. The
11 other factor that's here is that in December of 2015, EPA
12 Headquarters issued guidance saying that the regional
13 offices have to touch base with EPA Headquarters before
14 issuing these types of approvals. And this is a change from
15 long past practice. And we're tied up on that is well is
16 this supposed -- you know, the Region 10 is missing a
17 dedicated modeler, plus there's this new requirement to go
18 through EPA Headquarters as well. I have been talking with
19 Dave Bray of Region 10, who's (indiscernible) has a request
20 right now in the meantime and he was checking with
21 (indiscernible) EPA Headquarters in timeline. And I'm going
22 to punt to Dave now to see did they give us a timeline?

23 MR. BRAY: No, they haven't given me a timeline. I
24 checked in with them again today and they have so much stuff
25 on their plate back there with national rules and Appendix

1 W, you know, process to get that finalized. But they're
2 really not being as responsive as I was hoping they would
3 be. And I really -- you know, I can't really see that
4 there's going to be, at the end of the day, any problem with
5 using PVMRM for this modeling, but, you know, we are a
6 little bit handicapped right now in the normal process of
7 getting headquarters' approval. So I am going to keep on
8 them and I'm going to hopefully get something from them here
9 shortly. And so I would not -- I mean from my perspective,
10 I would not slow down the process that you guys are in, in
11 getting to a final decision on, you know, what you want to
12 do for, you know, this project, because I don't think the
13 PVMRM is going to be an issue at the end of the day.

14 MS. KOCH: This is Denise. And I appreciate
15 everybody's comments on, and answering my question, that
16 satisfied what I was asking about. Still wanted to open it
17 up to other workgroup members.

18 MR. KUTERBACH: Well I'd actually like to kick it to
19 Brad to get his perspective on these options for
20 (indiscernible).

21 MR. THOMAS: John, you articulated it fairly well.
22 The direct regulation or permit by rule option is more
23 lengthy in time than the general permit option. The general
24 permit option also has the flexibility to adapt to changes
25 in the way drilling might occur. Because right now we're

1 looking at drilling in terms of diesel fuel use only, but
2 there could be, at some point, gas fired rigs that require
3 another regulatory approach. So the general permit option
4 has the flexibility to accommodate that. So beyond that, I
5 think you covered it fairly well. Josh, do you have
6 anything to add?

7 MR. KINDRED: No, nothing.

8 MR. TURNER: Denise, anymore comments from the Chair
9 or Juneau?

10 MS. KOCH: This is Denise. No, I don't have any other
11 comments, but I did want to make sure that other workgroup
12 members had an opportunity to comment or to question here.

13 MR. TURNER: Gordon or Mike? I'm getting body
14 language that says no. So we will move to the next slide.
15 John, to you unless.....

16 MR. KUTERBACH: Okay, Tom, before we move to the next
17 slide, I just want to poll the workgroup members to see
18 whether we're in agreement that the general permit approach
19 is the way we want to move forward with imposing these sort
20 of limits. And for me, John Kuterbach, I say, yes, general
21 permit is the way to go.

22 MS. KOCH: This is Denise Koch. It sounds like the
23 Options Group is in agreement and in consensus on the
24 general permit being the approach to -- best approach to
25 move forward (indiscernible) that's why we formulated that

1 subgroup. So I would say, yes, I'm happy with moving
2 forward with a general permit approach.

3 MR. TURNER: Anchorage?

4 MR. THOMAS: This is Brad Thomas. I concur.

5 MR. KINDRED: This is Josh Kindred. I concur as well.

6 MR. THOMAS: Gordon?

7 MR. BROWER: Well I'm just listening to everybody
8 concurring. I think it's -- you know, it's important to
9 note, you know, that we just not try to simplify it, but
10 find ways that really work the best. And if that's the
11 consensus, I would concur with that as well.

12 MR. MUNGER: This is Mike Munger. I like the general
13 permit concept just because of the flexibility built into
14 that. I don't know much about it yet, but I was -- from
15 what I see so far, I concur with what the Options Group came
16 up with.

17 MR. TURNER: I think that's all the members.

18 MR. KUTERBACH: Okay. So then we can move to the next
19 slide. And, Brad, I'd like you to take the lead on this
20 slide since it's really kind of based on what you had
21 drafted earlier. And you can maybe expand on some of the
22 points like the identification of planned drilling.

23 MR. THOMAS: Okay. This is Brad Thomas. The general
24 permit approach would be one that has to be defined, of
25 course, through the draft general permit process.

1 But one of the thoughts that we had was that we could
2 make it as simple as at the beginning of the calendar year,
3 identify the drilling program for that year, specifically
4 the number of wells that might be drilled, and put those in
5 an application. Pay fees based on the number of wells. And
6 submit that application and be authorized to drill that
7 first well.

8 And if there's a change to the drilling plans for that
9 year, have a mechanism in place to amend the original
10 application to accommodate the change and pay any fees that
11 might be associated with the change. And specifically the
12 change we're talking about is if we drill primarily more
13 wells than what we had planned. And the permit would then
14 authorize that drilling. Of course, it would require that
15 you stay within the daily fuel thresholds and keep the daily
16 records to demonstrate that compliance.

17 And we still have to work out what the reporting might
18 be, if any. And there would be some. At least we'd have to
19 report any deviations, for sure.

20 That is very simply, conceptually, what the general
21 permit would do. It's not -- it's just very simplified from
22 where we are right now with the minor source specific
23 permitting program with the Title V program. It's very
24 similar to the minor general permit one. That was kind of
25 the basis that we built from. John, did I miss anything?

1 MR. KUTERBACH: No, I think -- I think that and the
2 slides gives kind of the outline of what the general permit
3 would look like. I mean the clear -- the clear thing is the
4 applications could be real simple. It's going to just say
5 what are you going to do, calculate the fee, pay the fee,
6 and sign on the line that says these things are going to
7 comply with all the limits that are in the general permits.
8 And that's pretty much it. Once we get the -- that complete
9 application then the general permit becomes effective for
10 the operations of our.....

11 MS. KOCH: This is Denise Koch. I have a question
12 about -- I understand and appreciate the intent to have this
13 simple application. And as like Thomas had mentioned that
14 the -- you know, maybe at the beginning of the year or some
15 sort of logical time, industry would have an application
16 that covered a number of different planned drillings. When
17 items change or -- how would that be handled through the
18 application process? I mean more specifically in -- not
19 that it's a new drill rig going to a new pad, which may lend
20 itself to another application, but it's the same drill rig
21 that's already been identified on the same pad that maybe
22 they're going to be there longer. How would that -- that
23 change -- extra change be accommodated?

24 MR. KUTERBACH: Okay. We -- obviously, all the
25 details have to be worked out when we draft up the actual

1 general permit and the implementation of it. With general
2 permits, as long as the modified operation will still comply
3 -- will still meet the qualification criteria for the
4 permit, it would be basically a notice and an additional fee
5 payment type of -- essentially another mini application for
6 the change and submit it and then it's approved as long as
7 the total operation still fits within what the general
8 permit specified.

9 MR. BROWER: I've got a question.

10 MR. TURNER: Gordon has a question in Anchorage.

11 MR. BROWER: I just want to get a little bit more
12 understanding about the concept of a general permit. And
13 just put it in context with the borough has its own general
14 permit to issue a Corps of Engineers Driveway Fill Program.
15 And I'm thinking it's something like that. And we
16 administer it for the Corps of Engineers. And it's just a
17 very simplified way for folks that want to have gravel to
18 have their driveways. They come to our office, pay the fee,
19 and we issue them a permit with restrictions on the amount
20 of gravel that you can place by cubic feet, provided they
21 meet a certain specification of amount and you're in
22 compliance with that. And then we report that, the borough
23 then reports that to the Corps of Engineers under the 404.
24 Is that the type of concept that we're looking at here, a
25 much more simplified -- because there are no real threshold

1 levels that, I think, the drilling program will exceed.
2 Even if you maximized for a long period of time with
3 consumption of fuel, your modeling still says you're within
4 these parameters. So the concept of a general permit, I
5 think, seems, you know, viable and able to function in that
6 way.

7 MR. THOMAS: This is Brad Thomas. Yes, very similar.
8 The qualification criteria would be basically a commitment
9 to operate below daily fuel thresholds, because those
10 thresholds are where the modeling show the ambient air
11 quality standards are affected. So if you qualify for that
12 by committing to that, you're qualified for the permit. And
13 you notify the department how many wells you're going to
14 drill that year under those limits and pay the fees that are
15 based on the number of wells. And if the application is
16 complete, you're authorized to operate.

17 MR. BROWER: Here's my question. Say that a certain
18 drill rig is granted that and it's got its permit operating
19 on a general permit, will it be for a specific location or
20 will it be statewide?

21 MR. THOMAS: That -- this is Brad Thomas again.
22 That's a question that did come up. And my preference would
23 be that the permit would be for an owner/operator. So
24 ConocoPhillips would apply for the permit, the general
25 permit to cover the drilling program in the Kuparuk River

1 Unit. We might do it separate for the Alpine River Unit or
2 we might put them both on the same application and get
3 coverage under the general permit for the entire drilling
4 program for both fields. It would be for a drilling program
5 based on a number of wells rather than for specific pads or
6 for specific rigs. Does that make sense?

7 MR. BROWER: Yeah, I just got to flush out a little
8 bit more, I mean, but I think it's -- you know, the
9 flexibility issue of being able to go somewhere else when
10 the need arises, because I see sometimes, you know, rigs are
11 -- become open.

12 MR. THOMAS: Yes. And this is Brad Thomas speaking
13 again. If a rig became available and we'd had the
14 opportunity to drill more wells than what we'd planned for
15 that year, we'd have the amendment process to amend the
16 application, submit that to the State, and pay any
17 additional fees that might be required, and be authorized at
18 that point then to drill that additional well because of the
19 additional rig availability.

20 MR. BROWER: I think just we need to understand a
21 little bit more. It seems like once you get issued a
22 permit, because there are mobile drill rigs, you should be
23 allowed to operate within the state whether it's the North
24 Slope or Kenai or.....

25 MR. THOMAS: Yeah.

1 MR. KUTERBACH: For the State viewpoint, and we'll get
2 into some of the technical details that still remain to be
3 hammered out a little bit later, but from the State
4 viewpoint, as long as the operation would still comply based
5 on the technical analysis that would -- you know, if the
6 operation fits within the contemplated operations and the
7 technical analysis, we don't see a problem with it being
8 applicable to broad areas. Obviously, the State has an
9 interest in knowing where the drill rig is operating in any
10 given time for purposes of inspection, the inspector wants
11 to come by and verify it. Also it would allow us to
12 identify drill rigs that are operating. We're not a
13 permitting committee. Maybe some of us didn't get their
14 permits for the drill that's operating. We could check and
15 find out, oh, they never got the general permits for that
16 operation. So as far as location, that's the main concern
17 of the State is that we know where the permitted sources are
18 operating and at (indiscernible) general concept of the
19 modeling that we've -- that was done. So that if there's
20 something special about an area that we make it -- any
21 analysis would no longer be valid for that operation. So
22 that was kind of the technical (indiscernible) from the
23 analysis of the Technical Committee to work into the -- for
24 the application permit.

25 MR. TURNER: Mike, did you have a question?

1 MR. MUNGER: Yeah, this is Mike Munger. Regarding the
2 permit itself, under the general permit concept, it requires
3 operations to comply with applicable fuel limits. From the
4 State's perspective, how do you certify how much an operator
5 is using? Is there a -- some kind of a certification of the
6 gallons per minute, gallons per hour gauge from the
7 operators or is it relying solely on the operator's good
8 faith to say we're operating under that applicable limit or
9 is that -- or has that been completed, I guess, gone over
10 yet and decided which way you guys were going to do? And is
11 this still subject, and I know the State is in with
12 everybody else right now is pretty strapped for cash, would
13 this be subject to random inspections or what's the process
14 there?

15 MR. KUTERBACH: Okay. Well for the first part, that's
16 an ongoing technical discussion as to how accurate should
17 the monitoring be. We kind of buy the Ronald Regan
18 viewpoint of trust, but verify. So we don't just accept the
19 -- we want some actionable measurements behind the statement
20 that they're complying. As far as random inspections, the
21 permit fee, we'll collect the -- an amount that will allow
22 us to do routine compliance evaluations that will include
23 periodic evaluation of the drilling operation. The exact
24 frequency and extend of the inspection would remain to be
25 determined based on the monies that we actually collect and,

1 you know, staff that we have. It's part the -- part of our
2 important scheme. Right now, minor permits, unlike major
3 facilities, don't have a federal inspection schedule
4 requirement. Right now we do a full compliance evaluation
5 on every major source once every other year, and we do it
6 with onsite inspections at a certain frequency depending on
7 what they are. It has to happen at least once every five
8 years by the federal. We do it more frequently for oil and
9 gas sorts right now. Minor sources aren't subject to that
10 federal inspection schedule, but we do have a goal of
11 programming then in to have a compliance evaluation
12 periodically, which could be just a record evaluation. And
13 then onsite inspections, we target once every seven years
14 for the stationary sources. We'll have to decide what the
15 appropriate frequency will be for drilling operations. But
16 the counterbalance to having a lot of random inspections is
17 that these limits are considerably above what we would
18 expect the drill rigs to operate at in the normal force of
19 (indiscernible). So the likelihood of them exceeding it
20 might be -- might preclude us from doing a randomized
21 evaluation and maybe more of a targeted inspection scheme
22 where we know that there's intent of operation going on in a
23 certain area. Maybe those would be the ones that we'd want
24 to inspect rather than -- rather than doing it randomly
25 since we expect the vast majority of folks to operate under

1 these limits under normal circumstances.

2 MR. MUNGER: Thank you.

3 MR. TURNER: No more questions from committee members
4 in Anchorage that I am seeing. Brad, do you want to do the
5 next slide?

6 MR. THOMAS: Well this is Brad Thomas. And so we
7 laid, out in the previous slide, the conceptual approach,
8 you know, the high level general approach that we propose to
9 take. And there are a number of details to work out. And,
10 Mike, you brought one up. We're going to have to work
11 through the monitoring. There is some precedence that we
12 rely upon to build into the program for that and so we're
13 hoping to build on that.

14 DEC has to decide what the appropriate fee amounts are
15 and how exactly to apply those, what units per well, per
16 year, whatever.

17 We also have built into the modeling -- you know, we
18 have daily fuel volumes beneath which we're expected to
19 operate. But the modeling shows that those can be exceeded
20 up to a certain point, a certain amount of time each year.
21 So we would like to build that into the program as well.
22 And I think the daily fuel thresholds, and I'll just use an
23 isolated pad for example. The daily fuel volumes that can
24 be consumed is about 14,700 gallons in an isolated pad. In
25 the modeling, we found that you can go about 25 percent

1 above that once every five days and still demonstrate
2 compliance with the ambient standards. So we'd like to
3 build that flexibility into the program as well so that for
4 those drilling operations that need, got additional fuel for
5 those small amounts of time, that's accommodated. So that's
6 a technical detail we're working through as well. And the
7 slide went away.

8 MR. TURNER: Sorry.

9 MR. MUNGER: Just for an educational -- this is Mike
10 Munger again. Just for my education, and I've got a drill
11 rig guy sitting right next to me, would that be typically if
12 you're tripping pipe or something and you need that extra
13 horsepower?

14 MR. NEASON: Oh, not necessarily. You know, in the
15 typical drilling operation, you consume just as much fuel
16 when you're tripping pipe and -- as you are when you're
17 drilling a head. But I was thinking that it might be
18 ancillary equipment on the pad for the other various.....

19 MR. THOMAS: No, actually I think it would into --
20 this is Brad Thomas. It would come into play mainly --
21 we've got four different categories. We've got isolated
22 pads, routine drilling, and developmental drilling and
23 isolated pads. And by isolated, I mean they're not on the
24 same pad as a major operating station or facility.

25 MR. MUNGER: Right.

1 MR. THOMAS: So there's two different types of
2 drilling on that -- they can have on that pad. Routine
3 drilling, which is drilling that occurs for less than 24
4 months; and developmental drilling where the rig will stay
5 there for 24 months or more. The fuel volumes at the
6 isolated pad, I think are the same independent of whether
7 it's routine or developmental drilling. But when you get
8 onto the co-located pad where you have that major stationary
9 source on the same pad as the well line, an example is our
10 Alpine CD-1. There, whether you're doing developmental
11 drilling or routine drilling, the daily volumes are
12 different. And they're small.

13 MR. MUNGER: In that particular instance would you
14 have a production facility on the pad, too?

15 MR. THOMAS: Yeah.

16 MR. MUNGER: Is that the -- okay.

17 MR. THOMAS: So on those pads, if you get into
18 developmental drilling, you'd be down around, I think, 9,000
19 some gallons per day as your daily fuel volumes that you
20 could be expected to operate under. There could be
21 circumstances where a company might need to go above that.
22 And I can point to Point Thompson as an example where they
23 did go slightly above 9,000 a couple of times. So they --
24 and I'm not sure why they had to do that.

25 MR. MUNGER: Because of the co-location or just

1 because of the size of the drill rig?

2 MR. THOMAS: The number is low. It's 9,000 rather
3 than 14,000 because of the co-location, yeah.

4 MR. MUNGER: Okay.

5 MR. THOMAS: They've got to be the main area where the
6 probe would be needed. And like you said, for the 14,700
7 gallons, why would you need to go over the 14,700? I can't
8 imagine, but who knows?

9 MR. MUNGER: Okay.

10 MR. NEASON: That's a lot of fuel.

11 MR. MUNGER: That's a lot of fuel. Thank you.

12 MR. TURNER: Denise, for the record, we're back in the
13 GoToMeeting.

14 MR. THOMAS: Okay. So to continue, other details to
15 work out. What notifications have to be submitted? Of
16 course, we'd have to do the initial notification to, you
17 know, to qualify for obtaining the permit. And we talked
18 about notifications for any changes to the drilling program
19 that we initially said that we were going to conduct. So
20 that notification process, this is a minor detail but it
21 still has to be worked out. And we talked about the
22 monitoring methods. There's an expectation that there would
23 be daily records kept. And we have to work through what is
24 the reporting. And at least, you know, we would expect
25 there had to be deviation reports. And that last bullet

1 deals with amendments, of course.

2 MR. TURNER: More questions in Anchorage? Questions
3 from Denise? Last slide -- two more slides.

4 MR. KINDRED: Are they still on the phone?

5 MR. TURNER: No, we lost them.

6 (Pause. Redialing telephonic participants.)

7 MR. TURNER: Let's try this again. My apologies.

8 (Pause. Redialing telephonic participants.)

9 MR. TURNER: We're going to have make you read back
10 the transcript. Can you do that at all? Let me know,
11 Gloria. Denise?

12 MS. KOCH: Hi.

13 MR. TURNER: All right. So we lost the -- we got the
14 PowerPoint on screen, but then it took a bit to get the
15 audio. So we have the audio on screen. There was a
16 dialogue that took place with Brad explaining -- and if you
17 -- can we read it back at all? No. So, Brad, see if you
18 can sum up where we left off.

19 MR. THOMAS: Where did we stop?

20 MR. TURNER: We were talking about -- the last I heard
21 was on the -- go back to slide six, reconfirm here, we were
22 talking about -- no, it's slide seven. My apologies. And
23 we were talking about notifications. So that was the last
24 time I had checked off.

25 MR. THOMAS: Okay. Well the.....

1 MR. KUTERBACH: Tom, this is John. He dropped off
2 right after talking about the excursions.

3 MR. TURNER: Oh, okay.

4 MR. THOMAS: That was a long time ago.

5 MR. TURNER: Well you're going to have to do it again.
6 We have it for the record for what took place in Anchorage,
7 but let's continue for the group to continue with
8 excursions.

9 MR. THOMAS: Okay. Additional details that need to be
10 worked out within a minor general permit would be what
11 notifications have to be submitted. And, you know, the
12 discussion there was around, of course, the initial
13 notification, notifications of amendment, notifications of
14 deviation. We are working out -- we'll need to work out the
15 ways of monitoring daily fuel use. And I mentioned that
16 there's precedent in previous permits that we can rely upon
17 to build on that. We have to specify the daily
18 recordkeeping, location, times the records have to be kept,
19 and the routine reporting that might have to occur. And the
20 last bullet on the slide, it's -- that's the amendments that
21 we were talking about. If you change your drilling program
22 -- again? And we are having major technical difficulties.

23 UNIDENTIFIED FEMALE: We lost the phone, too.

24 (Pause. Redialing telephonic participants.)

25 MS. KOCH: Hello?

1 MR. TURNER: We lost GoTo again.

2 MS. KOCH: Yeah, I know. I'm working on getting it
3 back. I don't know what's going on.

4 (Indiscernible -- trying to reconnect to GoToMeeting.)

5 MS. KOCH: Is that the teleconference?

6 UNIDENTIFIED MALE: Yeah.

7 (Indiscernible -- trying to reconnect to GoToMeeting
8 and multiple speakers at the same time.)

9 MR. TURNER: Rebecca?

10 MS. SMITH: Yes?

11 MR. TURNER: Call me when you're hooked up and we'll
12 re-hookup again. The joys of technology.

13 (Pause -- trying to reconnect to GoToMeeting.)

14 UNIDENTIFIED FEMALE: Mike is there, right?

15 MR. TURNER: Yes.

16 MR. MUNGER: Mike is here.

17 UNIDENTIFIED FEMALE: Okay. Oh okay, good.

18 UNIDENTIFIED MALE: So it's not his fault.

19 MR. TURNER: So we -- you know, Denise, we have the
20 workgroup members. What we don't have is the interested
21 parties ability to hookup. If we need to, we could proceed.
22 There's only two slides left. I can pull it on screen from
23 my webpage and you can pull it on screen from your webpage.
24 Unfortunately, we won't be able to include the interested
25 parties. But I don't know if we can do much about it if

1 GoTo keeps blowing out on us.

2 MS. KOCH: Okay. I think that's how we'll have to
3 proceed. And then for the interested parties, they do have
4 copies of the -- the presentation is available on the web so
5 they'll have everything.

6 MS. SMITH: I need to go call into the thing.

7 MR. TURNER: All right. So, Rebecca, why don't you
8 quickly send out an email to the interested parties that
9 they're going to have to look -- I don't know how they can
10 listen in.

11 MS. SMITH: Well they can't.....

12 MR. TURNER: All right.

13 MS. SMITH:once they call into the thing.
14 That's the only way to listen in, because we didn't setup
15 any other audio options. The audio conference happens every
16 time that GoTo does. So I -- do you want to just
17 (indiscernible) phone back into the thing and see if we can
18 make this work?

19 MR. TURNER: Let's try it one more time.

20 MS. SMITH: Okay.

21 (Pause -- trying to reconnect to GoToMeeting and
22 sidebar personal conversations.)

23 MR. TURNER: Are you off record?

24 THE REPORTER: No, we are not. So the transcript is
25 going to reflect a sidebar conversation.

1 MR. TURNER: So are we recorded with the sound -- with
2 this? I mean are these dialogues about solar flares.....

3 THE REPORTER: All the dialogue is there, but the
4 transcript will not reflect it.

5 (Pause -- trying to reconnect to GoToMeeting.)

6 MR. TURNER: Denise?

7 MS. SMITH: No. She has just walked out to see about
8 finding her code. If this dies again, maybe just having
9 people call in through the GCI number, but.....

10 MR. TURNER: We have -- it sounds like we can call in,
11 we just don't have audio screen. I just called in the 800
12 number.

13 MS. SMITH: We could.

14 MR. TURNER: Why don't we go off record then until we
15 solve this?

16 THE REPORTER: Okay. We're off the record at 2:09.

17 (Off the record at 2:09 p.m.)

18 (On the record at 2:15 p.m.)

19 MR. TURNER:nods of heads in Anchorage. Brad,
20 are you satisfied with excursion discussions?

21 MR. KUTERBACH: Tom, this is John.

22 MR. TURNER: Yes.

23 MR. KUTERBACH: The last thing that we were starting
24 to talk about when you went down was adding and deleting
25 authorized operations.

1 MR. TURNER: Okay, great.

2 MR. THOMAS: So this is Brad. To pick it up on that
3 last bullet point, the adding or deleting of authorized
4 operations merely is the amendment process. So we will have
5 submitted the drilling program plan at the beginning of the
6 year to get the initial permit and then, if more wells need
7 to be drilled or fewer wells need to be drilled, this is the
8 amendment process we'd have to follow. And that we'd expect
9 to be part of the minor general permit.

10 MR. KUTERBACH: Could I ask -- this is John. Could I
11 ask that the Anchorage folks move closer to the mic? It's a
12 little soft.

13 MR. THOMAS: I normally don't get that complaint.

14 MR. TURNER: Wrong mic. It has to be this one.

15 MR. THOMAS: Oh, okay. Did you hear what I said,
16 John? Should I repeat it?

17 MR. KUTERBACH: Yes, if you could repeat it. Denise
18 has come back and she'd like to pick it, too, I'm sure.

19 MR. THOMAS: Okay. The final bullet point on slide
20 seven deals with the amendment process. So we'll have
21 submitted, at the beginning of the year or before the first
22 well is drilled in a year, information on the annual
23 drilling program. And if we add wells or delete wells
24 sometime throughout the course of the year, that last bullet
25 point merely deals with the amendment process that would

1 have to be written into the program. So that's just a
2 detail we have to work. And it's not one that I expect a
3 lot of difficulty with.

4 MR. KUTERBACH: Yeah, this is John. The
5 (indiscernible) course is going to be contingent on what
6 we're requiring in the details of the application content as
7 to what we need for modifying the covered operations. So it
8 kind of flows in from that first bullet point to the last.

9 MR. THOMAS: Very good.

10 MR. BROWER: I've got a question. Adding and/or
11 deleting authorized operations and looking at that as an
12 amendment process. It seems to me that once you're
13 authorized to proceed, you go ahead and adjudicate your
14 project. And that means you're drilling, you're authorized
15 to operate and receive contracts from any oil company, you
16 know, be it (indiscernible), be it Exxon or Chevron, and
17 you'd have this permit. So is it you're operating under a
18 general permit guidelines. Isn't that broad enough to allow
19 the drilling campaign to proceed, as you receive your
20 contracts, as long as you're not exceeding or going past
21 these excursions? I don't know if that's part of the
22 amendment is to go and -- that you'll have excursions
23 limited to five times the operational period or something?

24 MR. THOMAS: Yeah, this is Brad. The amendment
25 process dealt with by that last bullet is not to deal with

1 excursions, but rather to correct the number of wells that
2 will be drilled in that year. And the interest for the
3 State, I believe, would be to make sure that the appropriate
4 amount of fees have been paid, if there's going to be a lot
5 more wells drilled, but also to ensure that their people,
6 their inspectors, know where the rigs are so if they want to
7 go out and visit them, they can. So that would be -- that's
8 the way I see it. And, John, you can add to that if you
9 need to.

10 MR. KUTERBACH: Yes. And also the concern that we're
11 not adding something that the general permitting didn't
12 intend (indiscernible -- lowered voice).

13 MR. BROWER: Just trying to get a little more clarity.

14 MR. TURNER: Anymore questions from the group? We'll
15 proceed to slide eight.

16 MR. THOMAS: Do you want me to do this one, John?

17 MR. KUTERBACH: Sure.

18 MR. THOMAS: Additional considerations. You know, in
19 the previous slide we talked about technical details we can
20 predict need to be worked for sure. But the additional
21 considerations are things that we want to continue talking
22 about. The first bullet, operation outside of the North
23 Slope. We've talked about that. That would be the
24 operations in Cook Inlet for which the modeling has yet to
25 be submitted and the daily fuel thresholds agreed upon. So

1 that's more work to be done.

2 We talked about, and we'll need to talk about, how we
3 handle application of this general permit within a Title V
4 or PSD major source. We don't expect -- and I'll speak for
5 myself, I don't expect that to be a complex or difficult
6 thing to scrub. You know, if we operate a drill rig within
7 a Title V source, for example, that Title V source's permit
8 has to have all applicable requirements. So one of the
9 things we discussed was adding to that stationary source's
10 Title V permit, perhaps a general requirement to comply with
11 all general permits issued for operations on the source.
12 The PDS major source operations, so if we move a drill rig
13 onto a PDS major source, an example would be Alpine CD-1,
14 what are the considerations we need to take into account
15 there? And we've already started that, perhaps even taken
16 it fully into account, by lowering the daily fuel volumes
17 allowed because we're on a co-located pad, for example.

18 The third bullet on the slide, how to address
19 operations which do not qualify for the general permit. As
20 an Options Group, we have to make sure that we have our
21 hands stacked on that. And, you know, an example approach
22 to handling operations that do not qualify is merely keep
23 the existing permitting program in place to cover those.
24 And that seems like the simplest thing to do really.

25 The fourth bullet, John's already talked it. You

1 know, the use of the plume volume molar ratio method
2 requires approval from EPA and that's in process.

3 And the final bullet, of course, is to open up the
4 discussion for next steps. Is this the last slide, Tom?

5 MR. TURNER: Yes, it's the last slide.

6 MR. THOMAS: Okay. Well.....

7 MR. TURNER: There's a slide of contacts. The last
8 slide was contacts.

9 MR. THOMAS: Okay.

10 MR. KINDRED: This is Josh. I was just going to add,
11 particularly for Mike's benefit, although we're still in the
12 process of doing modeling for Cook Inlet, I think at least
13 theoretically or academically we're assume that a program
14 that we're going to use on the North Slope will be
15 substantially similar to what we use at Cook Inlet, with the
16 exception that the daily fuel use number is going to be
17 different based on what the modeling is. So we expect that,
18 at least early on in this process, that the fuel limits will
19 be lower, but we're thinking, the Cook -- this framework
20 will be the same for -- that will apply to Cook Inlet once
21 we've got those numbers to get set.

22 MR. TURNER: So any questions from Anchorage Workgroup
23 members?

24 MR. BROWER: Well next steps in the -- that's what I'm
25 wondering where we're going to lead this dialogue to now or

1 is there more technical information in a plan that needs to
2 be developed?

3 MR. THOMAS: This is Brad. Tom, can you go back to
4 the previous slide?

5 MR. TURNER: Slide eight?

6 MR. THOMAS: Yeah. Slide eight are things, I believe,
7 that the Options Group, you know, that we have to discuss to
8 make sure that we're comfortable with how the program is
9 going to proceed. Slide seven, the slide before this, those
10 are details we can work within a general permit process, so
11 we can work those as the general permit is drafted and
12 through the public comment period. But if you'll go back to
13 slide eight? These appear to be things, John, correct me if
14 I'm wrong, that we should discuss as an Options Committee to
15 make sure that we're all in agreement with these bigger
16 picture items.

17 MR. KUTERBACH: Thank you for opportunity to correct
18 you, Brad. The slide eight, at least my concept of slide
19 eight was items which need to have some discussion from the
20 overall workgroup, not just the Policy Group, you feel
21 comfortable making these types of decisions. One of the
22 things, operation outside of the North Slope, yes, it's
23 uninvolved, you know, how it would look if (indiscernible)
24 modeling is going to be.

25 But, you know, also associated with that is how do we

1 deal with this timing wise? Do we do a single general
2 permit that covers all operations and wait for the Cook
3 Inlet stuff to be finished before we proceed with that, or
4 do we, you know, move ahead with the North Slope general
5 permit and then issue a separate general permit or amend the
6 North Slope general permit with the Cook Inlet information
7 and then submit it and reviewed? That's a discussion for
8 the overall workgroup.

9 MS. KOCH: This is Denise Koch. I would imagine that
10 we could have some parallel tracks in terms of we know that
11 the Technical Workgroup is still going to be working on Cook
12 Inlet technical information that would form the basis of any
13 sort of future Cook Inlet permit. I'd be interested to hear
14 from industry. But I would image that for the DEC
15 perspective, you've heard from this group consensus on kind
16 of the technical information that was presented for the
17 North Slope. And we've heard consensus on a general permit
18 approach. So I mean one option would be for us to move
19 forward with the general permit for just the North Slope.
20 So that is not -- so that we can move forward and we don't
21 hold the whole process up while we're waiting for the
22 technical support that would be necessary for Cook Inlet.

23 MR. THOMAS: And this is Brad. And perhaps since it's
24 only 2:27, we can resolve some of these things here. But,
25 Denise, moving forward with the North Slope general permit,

1 with an eye toward amending it once we get the Cook Inlet
2 data and agreements, seems like a good approach to me.

3 MR. MUNGER: This is Mike Munger. I'd have to agree
4 with that.

5 MR. BROWER: Yeah, I'd agree with that as well.

6 MR. KINDRED: So would I. This is Josh.

7 MS. KOCH: And, John -- I'm looking to John now in
8 terms of -- kind of to make sure that what I just said was
9 feasible, that he can -- your permitters could move forward
10 with drafting a permit for the North -- a general permit for
11 the North Slope, and know that in the future we'll have to
12 amend that permit or have it very similar sort of general
13 permit (indiscernible -- interrupted) depending on what
14 (indiscernible).

15 MR. KUTERBACH: Well, yeah, we can do that. We can do
16 that. And when the Cook Inlet information comes forth,
17 before anything goes public, through this we can -- we can
18 work that information in, too. That's really what the
19 (indiscernible). Once we go to public notice that's going
20 to have to run its course before we amend it.

21 MS. KOCH: But from what I'm hearing in terms of an
22 earlier comment that it -- I think from Alan, he mentioned
23 that it would be six weeks until DEC expects to receive the
24 Cook Inlet modeling, which, of course, would then just --
25 you know, that would be the beginning of our process. It

1 sounds like -- my kind of guestimate would be that we would
2 -- if we move forward on a general permit for the North
3 Slope, you might get the public notice before the Cook Inlet
4 technical information is evaluated.

5 MR. KUTERBACH: It's my -- again, we also have the EPA
6 approval taking it up at our end in that mix, before we go
7 to public notice that we'd have that.

8 MR. MUNGER: This is Mike Munger. So there's a good
9 possibility that we may have the technical data from Cook
10 Inlet before we got EPA approval for the general permit
11 concept anyway.

12 MR. KUTERBACH: I don't know what the betting odds are
13 one way or the other.....

14 MR. MUNGER: Okay.

15 MR. KUTERBACH:who's going to win the horserace
16 there, but it's possible.

17 MR. MUNGER: This Mike Munger again. Regarding the
18 Cook Inlet modeling, who is doing that?

19 MR. THOMAS: This is Brad. AECOM, Tom Damiana and
20 Tiffany Samuelson, who I think are on the phone still, are
21 executing it right now.

22 MR. MUNGER: Okay.

23 MR. THOMAS: They're the same ones who did the North
24 Slope modeling.

25 MR. MUNGER: Okay.

1 MR. KUTERBACH: Okay. And then if we look at the --
2 so it sounds to me, and I guess I'll just ask that the
3 workgroup members, they'll voice objection if I'm wrong, but
4 the decision is to move forward with preparing a draft
5 general permit, specifically for the operations that are
6 covered by the technical analysis we've already completed.

7 MR. THOMAS: This is.....

8 UNIDENTIFIED FEMALE: In the North Slope.

9 MR. KUTERBACH: Okay. Hearing no objection, that's
10 what we're going to move forward with. The one element is -
11 - that I've heard on this conditional consideration, that we
12 talk about Title V sources and PFD major sources. And I
13 understand that Title V source where Brad said the Title V
14 permits would just have to have a simpler environment to
15 comply with general permits, so the path should have
16 compliance with the applicable requirement. The Title V
17 permits are also going to have to have monitoring,
18 recordkeeping, and reporting that satisfies Title V for the
19 applicable requirements, so for the fuel limits. So that's
20 a consideration in drafting the general permit. If we're
21 going to ensure that it's -- that it will meet the
22 requirements of Title V for monitoring purposes then we're
23 going to have to make sure that the modeling be not just
24 minor permit requirements, but the quality of monitoring
25 that Title V requires. Otherwise, with Title V permits,

1 we'd have big gaps to fill for that. And I think that's --
2 I think that's right. But if Dave Bray is on, maybe correct
3 me if I'm wrong.

4 MR. BRAY: No, you are correct that, you know,
5 anything that's operating under the scope of the Title V
6 permit has to meet that. You can probably do it two ways.
7 You could, like you say, make sure the general permit meets
8 Title V monitoring, you know, requirements. Or you could
9 have a provision in the Title V permit that says, you know,
10 any portable oil and gas equipment operating here has to
11 meet the general permit and the following additional
12 monitoring requirements. So those could be getting the
13 permit ready to be deployed if and when the equipment
14 covered by the general permit would operate there. So if
15 there were scenarios in which an existing Title V source was
16 never expecting to have portable oil and gas equipment, it
17 wouldn't have to have those conditions in the permit, but.

18 MR. THOMAS: Hey, John, this is Brad. What Title V
19 requirements would not be satisfied, do you think, in a
20 minor general permit? Because I'm thinking that with the
21 monitoring that's been discussed, the type of monitoring
22 that's in, for example, you know, recently issued portable
23 oil and gas operation permits, the recordkeeping in those
24 permits and the reporting in those permits, would those, in
25 your mind, satisfy the Title V requirements? Are there

1 requirements above and beyond those that you're thinking of?

2 MR. KUTERBACH: Well I don't think the minor general
3 one permit (indiscernible) would satisfy Title V
4 requirements. And I think that's what we've been using is
5 the (indiscernible) of this re-general permit. I just want
6 to make clear that a Title V monitoring requirements are
7 going to have to meet those (indiscernible) in Part 70 -- of
8 our Part 70, and specifying, you know, collecting relevant
9 data from the appropriate time period. And again, that's a
10 technical detail that we're going to have to look into. But
11 I think we do have a choice here. And maybe you're right.
12 Maybe they -- just the monitoring (indiscernible) from Title
13 V. But there's -- I'd like to have agreement before we move
14 forward with it that we want to have a general permit that
15 meets Title V, so we don't have to have those monitoring
16 conditions in the Title V permits; or that we want the minor
17 general permit to just be a minor general permit and not
18 worry about Title V, and if necessary, we would supplement
19 the monitoring in the Title V permit. And so I'd just like
20 to get sense of the workgroup which of the approaches they
21 would prefer to go to.

22 MR. THOMAS: So this is Brad. Denise, we have a lot
23 of people with a lot of experience in permitting, like Al
24 Turbovich, Ann Mason, on the phone perhaps, Tom Damiano and
25 Tiffany, so hopefully we can let them weigh in. But it

1 seems to me that the most efficient way to go is to start
2 with seeing from DEC a permit that they think meets Title V
3 requirements and just keep it simple. And then if that
4 becomes too cumbersome then we'll revisit this. Does
5 anybody have any reason not to do that?

6 MR. BRAY: This is Dave Bray. Let me just ask one
7 clarifying question so I can think about this. Are there -
8 - would there be any other sort of generally applicable
9 requirements that would apply to the equipment covered by a
10 general permit that wouldn't actually be written into that
11 general permit? Either your 050, 055 requirements or.....

12 MR. KUTERBACH: Yeah, I don't think we were
13 contemplating incorporating the SIP emission standard into
14 the minor general permit. And they don't apply to the drill
15 rig industry, they apply to the heaters and boilers. But
16 maybe those would be the ones that I would think. However,
17 those are already covered under the Title V permits of the
18 different sources. We just have to be clear. We would have
19 to make it clear that those general SIP standard
20 requirements in the Title V permit apply to all boilers and
21 heater that.....

22 MR. BRAY: Including ones that move on temporarily
23 under the general permit.

24 MR. KUTERBACH: Right.

25 MR. BRAY: Yeah. Yeah, that's what I was trying to

1 figure out, if the general permit was actually going to
2 include and function as a standalone Title V permit that
3 would be, you know, in play when you were within a Title V
4 major source or whether you'd construct the Title V permit
5 so it would be clear those requirements and any monitoring,
6 recordkeeping in the Title V permit would apply to that
7 equipment with it came within the Title V source. I mean
8 both could work. But that's the type of thinking you need
9 to work through to make sure you've got it covered.

10 MR. SCHULER: Hey, John, this is Alan. I have a
11 question, too. Under Title V, I believe the transportable
12 sources also an app for requirement is increment, and we
13 only looked at standards in the work that's already done to
14 date. If this gets pulled into Title V is increment an
15 issue then?

16 MR. KUTERBACH: No, because we're not permitting a
17 transportable source under Title V. This would be Title V
18 conditions for the stationary Title V sources. And this
19 would be an operation that comes into work on a Title V
20 source, but the Title V permit wouldn't follow the drill rig
21 like they've done -- you know, they addressed this question
22 of how do you deal with them on the Title V source in a
23 prior go-around. The producers had adopted -- crafted Title
24 V permits for drilling operations that moved around. That
25 way when we moved onto Title V sources covered under zone

1 Title V permit so we didn't have any Title V problems.
2 Right? This would be a change in that concept where we are
3 not permitting the drilling operation under Title V, but it
4 operates on a Title V (indiscernible) that stationary source
5 must cover that operation. So it would not trigger the
6 ambient air quality standards issue.

7 MR. BRAY: Think of it as an approved alternative
8 scenario for that stationary Title V source.

9 (Indiscernible -- multiple speakers at the same time.)

10 MR. KUTERBACH: With the transportable one, there's
11 also the term applicable standards and increments. And
12 that's -- there's some question as to whether the increment
13 would be applicable if the source itself did not have
14 sufficient stationary emission units -- not -- you know,
15 emission units that worked on those engines, they would have
16 to be big enough to constitute a modification, I would
17 think, to trigger the increment. But that's questionable.

18 MR. BRAY: So that's a long answer to say, no, it's
19 not a problem.

20 MS. KOCH: This is Denise. I have question from the
21 perspective of the timing, because I'm just thinking about
22 part of the original goal, which is operational flexibility
23 while not -- while also complying with air quality
24 standards. But for the operational flexibility component,
25 if you rate the general permit in -- this new general permit

1 for the North Slope, in a way that meets those Title V
2 conditions, I'm assuming, but I want to verify that this is
3 correct, it sounds like that would -- might offer more
4 timeliness and flexibility for the industry from the
5 perspective of you've already covered that in the minor
6 general permit versus if we take -- we don't include those
7 elements in the Title V -- that would be required in a
8 Title V source then you'd have to go through a process with
9 the Title V source's permit to try and get a sense of what -
10 - it seems like a more.....

11 MR. KUTERBACH: Well.....

12 MS. KOCH:it seems like a more (indiscernible --
13 interrupted).

14 MR. KUTERBACH: Well then there are a lot of -- this
15 is John. There are a lot of elements in play on that, this
16 particular issue. Yes, we could do, if you did strictly a
17 minor permit, we didn't cover all the Title V requirements.
18 And let's just assume for the sake of argument the minor
19 permit doesn't satisfy some Title V requirement that applied
20 to sources with the Title V (indiscernible -- lowered
21 voice). That minor permit could then be used everywhere
22 that's not on a Title V stationary source. Before it could
23 operate on the stationary surface of a Title V permit, it
24 would be a modification to the facility. Then we would have
25 to look at the Title V modification rules to determine what

1 process would be necessary to modify the Title V permit.
2 Bob just said it wouldn't be an administrative amendment,
3 but what it could fall under the minor permit -- the minor
4 permit modification. Now that's a change to the piece of
5 paper, not a change to facility. So -- and that could be
6 done fairly quickly. There's not like a comment period,
7 there's just the noted -- so it falls into that. There's a
8 possibility there. But the long-term solution would be to
9 change our general template to have that as a (indiscernible
10 -- interrupted).

11 MS. KOCH: So get (indiscernible -- multiple speakers
12 at the same time) as you're renewing Title V permits?

13 MR. KUTERBACH: The disadvantage of making the -- of
14 going through it, is it is possible that the minor permit
15 would be slightly more stringent in some aspects in order to
16 allow it to be used everywhere than maybe it could be if it
17 wasn't used on a Title V source.

18 MR. THOMAS: Yeah, this is Brad. My thought is that
19 the minor general permit would be kept as simple as possible
20 with the monitoring, recordkeeping, reporting that satisfies
21 the Title V requirements. But the other Title V
22 requirements outside of monitoring, recordkeeping, reporting
23 would be handled by the stationary source Title V permit by,
24 as Dave mentioned, a reference to an alternate operating
25 scenario, for example. That way we would keep the minor

1 general permit simple. Hearing no objections.....

2 MR. KUTERBACH: This is John. From my point of view
3 as the permits manager, I can do it either way.

4 MR. THOMAS: Okay. Okay.

5 MR. BROWER: I got a question here. You keep
6 referring to some stationary source versus, oh, what's the -
7 - what the general permit's going to be about. Within the
8 drill rig itself are there different components in it that
9 require different types of permits?

10 MR. THOMAS: This is Brad speaking. On a drill rig
11 there are different components that are treated under
12 different regulatory regimes, if you will. The engines are
13 treated specially, but the heaters and boilers on a drill
14 rig are treated essentially as stationary sources. So there
15 would be state emission limitations that apply to those that
16 don't apply to the engines.

17 MR. BROWER: And those are what you're deeming as
18 stationary Title V.....

19 MR. THOMAS: No. What we're talking about here is
20 when a Title V operates within a stationary Title V source
21 that means a drill rig is operating in an area covered by a
22 Title V permit, because it's got like a processing facility
23 there.

24 MR. BROWER: Like a CPF or.....

25 MR. THOMAS: Yeah, yeah.

1 MR. BROWER: Any different other sources.....

2 MR. THOMAS: Right.

3 MR. BROWER:that are stationary?

4 MR. THOMAS: Correct. That already have their own
5 permit.

6 MR. KUTERBACH: I want to know if -- this is John.
7 Getting back to the -- what Brad had brought up, is that
8 kind of the consensus decision that we make the minor
9 permit, and the minor permit monitoring within it, fit Title
10 V. Where we don't have any other mandatory Title V
11 requirements in the general permit, we rely on the
12 stationary source from it as an alternate operating scenario
13 or some other mechanism?

14 MR. THOMAS: Yes, this is Brad. Just to add.....

15 MR. KOCH: This is Denise. And I'm fine with that.

16 MR. THOMAS: Just to add to that.....

17 MR. KUTERBACH: Wait a minute.

18 MR. THOMAS: One reason to do that is so that the
19 general permit is not freighted with requirements that would
20 not apply, you know, if it's being used on an outside Title
21 V source. So but -- but, yeah. But, John, with that
22 clarification, I'd -- that's what I think, but I'd like to
23 hear from the other air experts like Tom, Al and anybody
24 else who's got a lot of experience permitting. Robin might.
25 Laura, you're an expert. Does anybody else have an

1 alternative view?

2 MR. BRAY: Yeah, this is Dave. I just want to make
3 sure I understood John's statement there that the -- that
4 the general permit would have in it the -- added what
5 monitoring and recordkeeping in Title V level for the
6 conditions that are uniquely imposed in the general permit,
7 but not other applicable requirements that would otherwise
8 apply to the heaters and boilers. Is that the concept
9 you're thinking of?

10 MR. KUTERBACH: What -- and this is John. That was
11 what I had thought. I think that's what Brad was thinking,
12 yeah.

13 MR. THOMAS: Oh, yes. Yes. This is Brad. Yeah.

14 MR. BRAY: Yeah, okay. That's from.....

15 MS. MASON: This is Ann Mason. I guess a concern I
16 would like to bring up is that, you know, Title V permit
17 renewal gets delayed for one reason or another so we'd not
18 be able to drill at a Title V stationary source until that
19 permit got amended.

20 MR. KUTERBACH: Well, and you would have to evaluate
21 the modification occurring in the Title V source to see what
22 the process would be necessary to amend the Title V permit.

23 MR. THOMAS: This is Brad. So.....

24 MR. KUTERBACH: Some operator with a significant
25 modification under the Title V rule then, yeah, you would

1 need to get the certificate modification issued before the -
2 - before the operation can commence. But if it fell under
3 the minor permit rule, you kind of operate kind of at your
4 own risk while the minor permit is being -- while the minor
5 permit amendment to the Title V permit is being processed.

6 MR. THOMAS: This is Brad. John, what we're talking
7 about with the stationary sources Title V permit can be as
8 simple as the addition of a condition to -- or conditions to
9 comply with the alternative operating scenario, which would
10 be the minor general permit. And within a station source
11 Title V permit, adding the additional administrative things
12 that have to be done for the minor general permit covered
13 drilling at that source, right? So it seems like it's an
14 administrative amendment that once we submit notification,
15 we've got the application shield where we can move forward
16 with it.

17 MR. KUTERBACH: It would not be an administrative
18 amendment. It might fall under -- it might fall under
19 operational flexibility. It wouldn't fall under a 502.B.10
20 change. But I don't think it would be an administrative
21 amendment, because you're not changing the permit in an
22 administrative way. You're adding a new requirement. So at
23 the very minimum, it would be a minor permit amendment for
24 Title V, but it might not be a significant permit amendment.
25 You know, I appreciate the enthusiasm, but Title V rules, we

1 have to look real closely before we -- and I'm not going to
2 able to do that in this meeting.

3 MR. THOMAS: Well -- this is Brad speaking again.
4 That's an important enough element that, Denise, we -- we
5 should talk about that again after John has had some time to
6 think about it, and we've had some time to review it and
7 perhaps even talk about it. So maybe in the next three to
8 four weeks, we can convene again to hammer that one out,
9 because that's just thrown out on the table as a suggestion.

10 MR. TURNER: Who's we convening?

11 MR. THOMAS: We, the -- this.....

12 MS. KOCH: It sounds like the subgroup, maybe. I mean
13 because that seems to me like a pretty technical permitting
14 sort of discussion.

15 MR. THOMAS: Right.

16 MR. TURNER: Excellent.

17 MR. THOMAS: That's fine. That's fine.

18 MR. KUTERBACH: It's not an option.

19 MR. THOMAS: Okay.

20 MR. KUTERBACH: So we're going to make a new subgroup
21 for hammering out the details for the.....

22 MR. THOMAS: Let's do that.

23 MS. KOCH: I know, I mean I think about -- it sounds
24 like an important element that you wanted to -- want to have
25 some discussion about before the DEC proceeds with drafting

1 the general -- a minor general permit for the North Slope,
2 but I also want a separate.....

3 UNIDENTIFIED FEMALE: Well I mean if (indiscernible --
4 multiple speakers at the same time).

5 MR. KUTERBACH:has to be down. Are we going to
6 have the general permit satisfy Title V or, as we described
7 earlier, only satisfies Title V for the unique conditions
8 imposed by the general permit. And then if we do that, that
9 satisfies the general permit option question. Okay? Now if
10 we're going to talk about, okay, now how do we let these
11 things operate on a Title V permit, what has to be in that
12 Title V permit, it's going to be more than just comply with
13 the general permit. Because the general permit isn't
14 covering the SIP emission standard that possibly other
15 applicable requirements for the boilers and heaters. For
16 instance, maybe -- maybe they're NFP has affected or have
17 some other federal standard that applies. I don't know. It
18 could in the future even if they don't now. So it's more
19 than just saying comply with the minor general permit,
20 because the minor general permit doesn't cover those things.
21 So it's how do you identify what the applicable requirements
22 are for Title V for the operation, that oil and gas
23 operation, and how do you impose those applicable
24 requirements in the Title V permit for the stationary source
25 on which it is operating?

1 MS. KOCH: Does that sound -- this is Denise again.
2 That sounds like the -- it might be beyond the scope of what
3 we were trying to accomplish here, which is for the --
4 thinking about the operational flexibility for the -- for
5 these drill rigs that we would want to proceed with the
6 general permit. It sounds like there was some agreement as
7 to just including the monitoring and the recordkeeping
8 pieces that are -- would be unique for -- to this permit
9 that would apply for Title V. And the discussion of what
10 additional information you'd need in a Title V permit might
11 be kind of a separate -- it seems like -- are we going
12 beyond the scope here?

13 MR. KUTERBACH: Well it's an area that these
14 operations -- you're limiting the utility of the general
15 permit by saying, okay, you can't operate on a Title V
16 permit until we solve this other piece. So that's the
17 question for the workgroup. Do we do it step wise first,
18 get that minor general permit out and done.....

19 MS. KOCH: And we have a tool.....

20 MR. KUTERBACH:on its own track and then maybe
21 have a separate track to deal with this particular aspect of
22 the Title V approach.

23 MR. THOMAS: And this is Brad. That would not be
24 good, because most of the drilling occurs within what are
25 currently defined as Title V sources. So that's -- I think

1 the solution -- or the solution we're looking for is there.

2 So.....

3 MS. KOCH: So cancel the step five?

4 MR. THOMAS: Yeah. I think.....

5 MR. KUTERBACH: And again, with the -- that raises
6 another question is where is EPA in their redefinition of
7 adjacent for defining (indiscernible)?

8 MR. BRAY: I know they're working on it. There's
9 supposed to be something coming out on the definition of a
10 source for oil and gas operations, but I haven't seen
11 anything yet in actual writing.

12 MS. SMITH: And that comment area closed a while ago.

13 MR. THOMAS: So this is Brad again. So John had
14 thought -- since the Title V question, I think, will color
15 substantially any minor general permit we come up with, I
16 think we should meet within a couple weeks to hammer that
17 out, with an eye toward the goal of operational flexibility
18 and reducing the burden on the rigs.

19 MR. TURNER: So for purposes of advancing the meeting
20 and discussion, I'm going to see if I can try to summarize
21 this, and people can correct me when I'm done. What we need
22 to do here, or for the next step, is to have a -- either the
23 Options or a subcommittee look and see how the Title V
24 requirements, particularly for monitoring and recordkeeping,
25 can be looked at within the minor permit. We still then

1 continue to proceed with approval of the modeling with EPA.
2 And we can continue to advance Cook Inlet's technical
3 aspects. So we have a little bit of work here, but it
4 sounds like the technical aspects of the Title V within the
5 minor permit need to be resolved before we can advance,
6 based on what you're saying.

7 MR. THOMAS: Yeah. And that would just then
8 precipitate the question before we launch into drafting the
9 minor general permit should we reconvene as a committee?

10 MR. TURNER: That's up to the workgroup to decide.

11 MR. THOMAS: Okay. Let's put it on the table.

12 MR. TURNER: I just want to make sure those are three
13 action items I heard. And I'm open to any corrections or
14 adjustments. I am not seeing any body language in Anchorage
15 that tells me they disagree. John and Denise, are those the
16 three action items?

17 MS. KOCH: I agree that those are the three action
18 items. I think in terms of how we approach them, I think
19 that this Title -- how we integrate this Title V issue so
20 influences what will happen next with a minor general permit
21 that my recommendation would be that the Options Subgroup
22 have another -- have another discussion about that. And
23 that seems like that needs to be -- that needs to be
24 resolved. And then we can have another -- I would propose
25 that we have another main, full workgroup meeting. It could

1 be short, because that would just be the scope of the
2 discussion, so it might just be an hour. But at least then
3 all the workgroup members would hear what that discussion
4 was. It depends on how.....

5 MR. KUTERBACH: Well it's going to be.....

6 MS. KOCH:controversial it is.

7 MR. KUTERBACH: Yeah. It's going to be more than a
8 discussion. I'm going to have to do some research into what
9 Title V conditions we'd actually be concerned about based on
10 (indiscernible -- lowered voice). And then be able to
11 identify those (indiscernible). And then we can talk about
12 how do we draft (indiscernible -- lowered voice) within a
13 stationary source permit.

14 MS. KOCH: This is Denise again. So do you think in
15 terms of a timeframe for next steps, it is reasonable to say
16 that in six weeks the Options Subgroup meets at any time to
17 do this research.....

18 MR. KUTERBACH: I think.....

19 MS. KOCH:and then have a discussion.....

20 MR. KUTERBACH: I think we can meet within the next
21 four weeks and probably come to a resolution within six
22 weeks.

23 MS. KOCH: Okay.

24 MR. KUTERBACH: We do have -- I'd like to do it
25 quicker than that, but we do have (indiscernible -- lowered

1 voice).

2 MR. THOMAS: So this is Brad. So.....

3 MS. KOCH: So do any other Main Workgroup members have
4 any concern or comments on that (indiscernible) approach
5 that the Option Group has some discussion about this and
6 then we come back to the Main Workgroup?

7 MR. THOMAS: Just a clarification question, Denise.
8 This is Brad. We're talking about the Main Workgroup coming
9 together in four weeks, but within that period between now
10 and then, the Options Subgroup goes ahead and scrubs this
11 Title V problem. Is that what you're saying, right?

12 MS. KOCH: No. What I'm saying is the that the
13 Options would -- the Options Subgroup meets in four weeks.
14 The Options Group has resolution within six weeks. And then
15 at some point after that the Main Workgroup comes together
16 to hear what the Options Subgroup has done in these six
17 weeks.

18 MR. THOMAS: Sure.

19 MR. TURNER: We're getting nodding heads from Gordon
20 and from Mike on that plan and from Josh. Okay. So for the
21 record, we have agreement in Anchorage on that plan.

22 MS. KOCH: Okay, thank you, Tom.

23 MR. TURNER: Okay. So for the logistics of this then,
24 I'm assuming I will go ahead and send out a meeting request
25 for the subgroup and organize that again. And then for the

1 workgroup members, I want to do a general polling. Rebecca
2 will send an email to you that says here's the dates we're
3 looking for once we get an agreement. I don't want to go
4 too far ahead and book a meet and change it eight times.
5 I'd rather make sure the subgroup gets done with what they
6 want and then send out one meeting request. Okay? And
7 teleconference works for everybody.

8 MR. KUTERBACH: And I'll make sure that something
9 doesn't happen to GoTo.

10 MR. TURNER: John?

11 MR. KUTERBACH: Oh, I said, yeah, I love GoToMeeting.

12 MR. TURNER: Yeah, I'm going to find an alternative to
13 that or we're going to figure something else out. Okay.
14 Denise, I think it's back to you to wrap -- let's do what
15 you want -- whatever.

16 MS. KOCH: Well I'll see where it's maybe one or two
17 minutes to three, it depends on the clock, 3:01. So I'd
18 like to thank everybody. I think that we have -- that we
19 have a path -- a path forward. We're not all the way there
20 in terms of the decision in terms of what sort of permitting
21 tool we'll use, but I think that we've made really
22 substantial progress thanks to the work of all of the
23 Options Subgroup. So we're still -- we still momentum and
24 we'll just continue on.

25 MR. TURNER: Okay.

1 MS. KOCH: That's all that I have.

2 MR. TURNER: Hearing no other comments, we're off the
3 record at 3:02. Thank you, everyone. Thank you for your
4 tolerance with the technology.

5 (Off the record at 3:02 p.m.)

6

7

TRANSCRIBER'S CERTIFICATE

8 I, Gloria Schein, hereby certify that the foregoing
9 pages numbered 2 through 72 are a true, accurate and
10 complete transcript of proceedings of the Workgroup for
11 Global Air Permit Policy Development for Temporary Oil and
12 Gas Drilling Rigs, held February 4, 2016, in Anchorage,
13 Alaska, transcribed by me from a copy of the electronic
14 sound recording to the best of my knowledge and ability.

15

16

17

18

19 _____
Date

Gloria Schein