

1 WORKGROUP FOR GLOBAL AIR PERMIT POLICY DEVELOPMENT FOR  
2 TEMPORARY OIL AND GAS DRILL RIGS

3  
4 MEETING

5  
6  
7  
8 August 22, 2013

9  
10 Anchorage, Alaska

11  
12  
13  
14 Present:

15  
16 Bill Barron  
17 Gordon Brower  
18 Tim Burke  
19 Alejandra Castano  
20 Tom Chapple (telephonic)  
21 Tom Damiana (telephonic)  
22 Alice Edwards  
23 Wally Evans  
24 Todd Fortune  
25 Randy Kanady  
26 Kate Kaufman  
27 John Kuterbach  
28 Sara Longan  
29 Ann Mason (telephonic)  
30 Mike Munger  
31 Alan Peck  
32 Virginia Rapps  
33 Sally Ryan (telephonic)  
34 Jim Shine  
35 Rebecca Smith (telephonic)  
36 Jeanne Swartz  
37 Brad Thomas  
38 Tom Turner  
39 Ben Wedin  
40 Ron Wilson  
41

42

1                                   P R O C E E D I N G S

2           (On record at 10:03 a.m.)

3           MS. EDWARDS:   .....a little bit after 1:00 o'clock and  
4 this is -- I don't know, is this the third or fourth meeting?  
5 Fourth meeting of our workgroup, the Air Permit Policy  
6 Development for Oil and Gas Drilling Rigs. So I thought we'd do  
7 introductions as we normally do and I know we have a few folks  
8 on the phone as well. So we're having the meeting transcribed  
9 so we have the table mics for that, but the -- but I'm pretty  
10 sure that the -- we'll need to make sure when you're also near  
11 the polycom phone mics for the people on the phone to hear us.  
12 So as we move along if there's any issue with the folks on the  
13 phone not hearing us please let us know. We'll try to repeat  
14 things if they come from -- away from a mic so that hopefully we  
15 can make sure you guys can keep up with us. Tom, I assume that  
16 we've posted presentations and things on our internet site?

17           MR. TURNER: Yes, they have been posted on the internet  
18 site and I believe this morning around 11:30 we sent all of them  
19 to anybody who was on an email signup list.

20           MS. EDWARDS: Okay. So hopefully everybody will have the  
21 materials that we're looking at and can follow along. Why don't  
22 we go ahead and do introductions if that's all right with  
23 everybody and then we'll do an agenda check and go from there.  
24 So this is Alice Edwards, the Director of Air Quality for DEC.

25           MR. THOMAS: I'm Brad Thomas here on behalf of the Alaska

1 Support Industry Alliance.

2 MS. CASTANO: Alejandra Castano, Alaska Oil and Gas  
3 Association.

4 MR. BARRON: Bill Barron, Division of Oil and Gas.

5 MR. TURNER: Tom Turner, DEC.

6 MR. BROWER: Gordon Brower with the North Slope Borough.  
7 Just a little update as well. John Boyle is no longer my  
8 alternate. He's no longer working with the Borough. So working  
9 with the Mayor's office to get an alternate.

10 MS. EDWARDS: Okay.

11 MR. MUNGER: Good afternoon. Mike Munger with Cook Inlet  
12 Regional Citizen's Advisory Council.

13 MR. KUTERBACH: And I'm John Kuterbach. I work for DEC,  
14 Air Permits.

15 MS. EDWARDS: And if we want to just go around the edge of  
16 the room. Why don't we start with you, Randy.

17 MR. KANADY: Yeah, Randy Kanady with ConocoPhillips.

18 MR. FORTUNE: Todd Fortune with AECOM.

19 MS. LONGAN: Sara Longan, DNR.

20 MS. RAPPS: Oh, hi. Virginia Rapps, the Bureau of Ocean  
21 Energy Management.

22 MR. PECK: Alan Peck, Bureau of Land Management.

23 MR. WILSON: Yeah, Ron Wilson, Doyon Drilling.

24 MR. WEDIN: Ben Wedin with Nordic-Calista Services.

25 MR. BURKE: Tim Burke with ASRC Energy Services.

1 MR. EVANS: Wally Evans with Hilcorp.

2 MS. KAUFMAN: Kate Kaufman with Hilcorp.

3 MR. SHINE: Jim Shine, DNR Commissioner's Office.

4 MR. SWARTZ: Jeanne Swartz, ADEC, Air Quality.

5 MS. EDWARDS: I think that's everyone in the room. Can we  
6 go ahead and try and see who's on the phone? I know we'll talk  
7 over each other, but just go ahead and we'll sort it out as we  
8 go.

9 MS. RYAN: Sally Ryan, Cardano Entrix.

10 MS. SMITH: Rebecca Smith, DEC.

11 MS. MASON: Ann Mason, SLR.

12 MR. CHAPPLE: Tom Chapple with H & H Consulting.

13 MR. DAMIANA: Tom Damiana with AECOM.

14 MS. EDWARDS: Any others on the phone that haven't  
15 introduced yourselves? Great. So thanks everybody again for  
16 coming. The agenda for this meeting, I think everybody's got a  
17 copy of it. Wanted to do an agenda check and see if anybody had  
18 any suggestions or changes for the agenda for today. All right.  
19 Hearing none, I guess we'll proceed as planned.

20 Just for the good of the group, I have an unavoidable  
21 conflict at 3:30 and I'm going to need to step out and take a  
22 call. So I will step out at 3:30 for a little while. If it  
23 happens to be a convenient break point, great. Otherwise I just  
24 wanted to let you know if I disappear for a short while that's -  
25 - I have an unavoidable conflict this afternoon.

1 I also believe that the July 9th meeting summary was sent  
2 around to folks on the workgroup. Is that correct, Tom and  
3 Jeanne?

4 MS. SWARTZ: That's correct, Alice.

5 MS. EDWARDS: So if anybody has any comments or revisions  
6 for that meeting summary please let us know and we'll get it  
7 posted final.

8 MR. KUTERBACH: Also -- this is John. The transcript is  
9 posted.....

10 MS. EDWARDS: Oh.

11 MR. KUTERBACH: .....on the website?

12 MR. TURNER: Yes.

13 MR. KUTERBACH: From the last meeting.

14 MS. EDWARDS: So you can see the full transcript or you  
15 can have a meeting summary. They're both there and available.  
16 And as I mentioned, we do have transcription going again today,  
17 so if we can remember to identify ourselves, especially for the  
18 folks on the phone. That'll probably be helpful as well. And  
19 for those of us in the room or those of us on the phone, besides  
20 identifying ourselves we probably want to make sure we're  
21 speaking into microphones here in the room so everybody can keep  
22 up. Tom, did we have any logistics for the room that we wanted  
23 to share before we get into things?

24 MR. TURNER: Yes. This is Tom Turner. A couple of  
25 logistics and safety items. The first thing is for exit you

1 would come in the same way that you came in. So instead of  
2 coming right, right, when you go out please go to the left. And  
3 as soon as you head towards the main lobby though there's a  
4 stairway right there. Also, the front desk has asked that  
5 everybody please sign in and sign out. They would like to keep  
6 track of all the visitors. In addition, we have our own sign-up  
7 sheet here that tracks emails and phones and so I'd ask everyone  
8 to make sure that there's a double sign-up this time.

9 Also, last time, per the request of the transcriptionist,  
10 again not only speak up, but we had to have extra microphones  
11 around. This is a different setting. So they tried to do the  
12 best they could. The -- watch for the cords, but pay attention  
13 when you walk. I think we did a pretty good job of taping them  
14 all down.

15 And then the other issue is all the signs are up. And  
16 bathrooms are in the main lobby where the elevators are. The  
17 men's room is towards the inlet and the women's room is towards  
18 the other end. And for general safety moments, it's raining  
19 outside, please be cautious. And I want to acknowledge the  
20 front desk admin staff. They were very helpful in setting up  
21 all the signs and stuff. Thank you.

22 MS. EDWARDS: Thanks, Tom. Bill, did you have anything  
23 else before we jump into things?

24 MR. BARRON: No, he took all my safety moments, so let's  
25 progress.

1 MS. EDWARDS: All right. Last meeting we worked on the  
2 goal statement and the strategic topics. And I apologize, I've  
3 been gone for 10 days and so I don't have a specific list here  
4 to present to you to show you what we had come up with unless --  
5 I don't think we have that here. It is in the meeting notes.  
6 If -- I thought we could just do a check back to see if the  
7 workgroup members were still relatively comfortable with sort of  
8 the statement that we'd come up with and also the strategic  
9 topics that we're sort of working our way through. We'll  
10 probably -- I would imagine as we progress we'll be looking at  
11 those strategic topics a little bit more as we progress into the  
12 next few meetings on what we want to work on next. But if there  
13 are other things that people have thought about that they want  
14 to explore then, you know, this would be a good time to start  
15 thinking about just checking in on that.

16 I believe for the good of the group that the goal  
17 statement we ultimately came up with was that the goal of the  
18 workgroup is to develop informed recommendations to improve the  
19 air regulatory process for drill rigs with a particular focus on  
20 predictability, operational flexibility and compliance with the  
21 air quality standards.

22 UNIDENTIFIED MALE: What page are you on?

23 MS. EDWARDS: I'm on page 11 of the meeting notes summary  
24 from the last meeting. And I know we had a long list of  
25 strategic topics and the first one that we decided to try and

1 tackle at this meeting was to start with looking at what other  
2 states are doing with regard to drill rig regulations or  
3 requirements or programs and that will be the focus of this  
4 meeting as well as taking a look at sort of some of the Alaska  
5 drilling operations. We also know that we need to get into  
6 discussing compliance with -- how we determine compliance with  
7 the standards and that I know is one of the big topics that we  
8 want to get into in coming meetings. I don't remember whether  
9 we have -- I mean there were a whole -- there was a whole  
10 laundry list there and I don't know if it's worth going through  
11 all of that here, looking through the notes, or if people are  
12 relatively comfortable continuing to proceed and we can just  
13 keep checking back on our list of topics and making sure we're  
14 headed in the right direction on that.

15 UNIDENTIFIED MALE: I think that would be good.

16 MS. EDWARDS: Is that all right with everybody?

17 UNIDENTIFIED MALE: (Indiscernible).

18 MS. EDWARDS: Okay. So with that, unless any of the  
19 members of the group have anything to add before we get started  
20 I think our first agenda item is really to talk about what we've  
21 all learned over the last month or so as we've been looking and  
22 surveying other states about their drill rig programs and  
23 regulations. I know DEC staff have been working on this and I  
24 know Ilga (ph) and the support alliance have also been doing  
25 this as well. So I think folks are ready to come forward with

1 sort of what they found in their discussion with the other  
2 states and give us a summary of that. And I believe those are  
3 all in presentation format as well, so you should be able to  
4 kind of follow along with us. Tom, are you going to do the --  
5 what the -- what we found out from the DEC aspect as far as our  
6 survey?

7 MR. TURNER: Yes.

8 MS. EDWARDS: Great. Thanks.

9 MR. TURNER: So this is Tom Turner and we're going to --  
10 we have a PowerPoint presentation. It is on the website. It's  
11 also been sent out. I will do my best to call out slide numbers  
12 so people can follow them and Jeanne has brought it on the slide  
13 here in the main conference room.

14 So when we started looking at how to survey the states the  
15 first thing that we wanted to consider besides drill rigs was  
16 also in general how do drill rigs fit into the overall  
17 protection of air quality. So we looked at how states manage  
18 and protect air quality as we went about doing our survey.

19 Slide two please. So a quick overview just to remind, you  
20 know, the mission of DEC is we are required by the Clean Air Act  
21 to protect human health and the welfare. And so EPA established  
22 national ambient air quality standards for certain common and  
23 widespread pollutants. And states are required to adopt  
24 enforceable plans to achieve and maintain air quality meeting  
25 the air quality standards. This is important to remember

1 because as we started to survey the states we saw a lot of  
2 different variations of how things were done.

3 Slide three please. So here are the states we surveyed  
4 which is a quick slide. Slide four. Here is the CARB  
5 districts. Now these are in California. They generally have a  
6 little bit more restrictive air quality, but we did want to have  
7 -- based on the workgroup's suggestions we were trying to do a  
8 comprehensive view of oil producing states and different areas  
9 that may have air quality that relates to drill rigs.

10 Five please. So the first thing we did is we kind of  
11 figured out how to do the survey. We have engineers and I have  
12 some statistical background. I used to do surveys for my  
13 marketing degree. And we didn't want to just call up and say do  
14 you regulate drill rigs because air quality's a complicated  
15 subject matter, people manage it in different manners. And so  
16 we went through a list of questions. This slide is just an  
17 example of some of the questions we asked. We were interested  
18 in what are the sources, emission sources, that they would have  
19 in conjunction with drill rigs. There was a lot of discussion  
20 about modeling, so are they doing modeling. There was a fair  
21 amount of discussion about the different monitoring networks  
22 that would be in other states and we'll get into that in more  
23 detail. I would like to acknowledge Jeanne Swartz and Rebecca  
24 Smith within our staff. They did a lot of time calling these  
25 states, working through different people. Because if you just

1 call up and get one person they may not be the answer and you  
2 kind of have to have interview questions to find out who the  
3 correct person is to talk to. So we went through a draft of  
4 questions, who to contact, did follow-up background with it.  
5 Some offices called back, some did not. So it was a fair amount  
6 of effort to call these people and try to find answers. Again,  
7 there was no single answer for a lot of different situations.

8 Slide six please. Of course we put some of this  
9 information in a table. Things that we were looking at is do  
10 they have non-attainment, how many rigs they could have out  
11 there and as we got into the questions there were some questions  
12 how to do Title 5 permits. Slide seven and slide eight is the  
13 combination of this table. It's on the website. You can look  
14 at it.

15 So the big things we came to is on slide nine. So the  
16 question is how do states really do this and when you get into  
17 the question of how states manage air quality one of the issues  
18 you get into is down in the lower 48 they have -- they address  
19 their air quality issues based on the priorities that are facing  
20 them and they usually look at the worst or the most significant  
21 sources of emissions. So these -- and depending upon what part  
22 of the country you are they have major problem with  
23 transportation corridors because of the amount of traffic they  
24 have. They also have big huge coal power plants. I mean their  
25 size of their coal power plants are massive. There are areas

1 that have heavy manufacturing and so those, you know, groupings  
2 of extensive emissions coming from those groups. And so based  
3 on what their priorities are they may look at controlling air  
4 quality and may look at drill rigs differently than other states  
5 might. And that's kind of -- when you start talking to people  
6 and you start asking them their questions it's kind of  
7 interesting about how they respond. The first thing is like,  
8 well, we're dealing with the coal power plants or we just got  
9 hit with a non-attainment area, we have to look at that.

10 Slide 10 please. So the first thing is there's no really  
11 one approach or one uniform solution. Each state develops their  
12 own method of how they want to address air quality. And factors  
13 when it comes to drill rig regulations that we were able to dig  
14 into is what kind of other emission units are available or  
15 attached to the drill rig. And we'll get into that later. I  
16 think that's going to be something of interest to look at. They  
17 also look at what other significant emission sources we have,  
18 like I talked about the coal plants or other stuff. They have  
19 more issues with population centers. Now on the North Slope  
20 particularly we have to accommodate for subsistence and hunters  
21 crossing across ambient boundaries, but they have some issues  
22 where they're very close to large population centers and so they  
23 may be looking at pollutants differently because they have to  
24 protect human health in that area. Those -- public access is  
25 interesting simply because they have more property and land

1 boundaries and rights than Alaska does and so that also can  
2 affect how they're looking at doing air quality. And again,  
3 because of the modeling concerns there's different topograph and  
4 weather patterns. One of the state regulators in an oil state  
5 that seems to have a fair amount of oil production right now  
6 that has a lot of shale production simply said, well, it blows a  
7 lot down here. So it was interesting to get their areas. And  
8 they are dealing more with different non-attainment areas  
9 because of the other significant pollution sources and when non-  
10 attainment kicks in they have to start looking at how to address  
11 different sources.

12 Slide 11 please. So how do they do drill rigs. So if you  
13 call up and say do you regulate drill rigs to the air quality  
14 people you're going to get an answer generally no. If you then  
15 say we don't -- let me rephrase that. If you call up and say do  
16 you get a permit they say no. Most of it's done by commissions  
17 outside of the environmental quality departments. This could be  
18 for lots of reasons. A lot of it's done by economic reasons.  
19 Some is based on historical practices. So, for example, it's  
20 the Railroad Commission of Texas that actually regulates or  
21 looks at drill rigs because they're looking at the number of  
22 drill rigs, where they are and the sources, and some of that  
23 comes from what we were able to gather through the phone  
24 conversation. Some of that comes from the fact that they used  
25 to transport a lot of oil through the railroad and not have

1 pipelines. So they're still doing it. In Louisiana it's  
2 actually their DNR and in Kansas they have the Corporation for  
3 Commission. And some of these people may have restrictions on  
4 drill rigs that are not necessarily related to air quality, but  
5 over the approximation of the drill rig to a population center,  
6 so they may have time lengths, what's it doing on the particular  
7 oil play that it's working on. Those are other factors that  
8 they look at. We did not dig into that too much because we were  
9 concerned about air quality. But I do think it's important to  
10 acknowledge that there are other forms of different regulations  
11 that drill rigs may have in other states.

12 Slide 12 please. So how do they deal with drill rigs?  
13 Well, excuse me, jumped ahead. So most air quality is done by  
14 the health and environmental agencies and it's usually looking  
15 at the stationary and permanent emission units. They do look at  
16 the auxiliary emission units that are attached to drill rigs,  
17 the boiler, the dehydrators. They didn't have a lot of snow  
18 melting equipment in some states, but that's one of the things.  
19 And they generally follow non-road emission units.

20 Slide 13. So generally they don't end up -- they do not  
21 issue individual permits for drill rigs mostly because they  
22 classify them as mobile engines. And a lot of what we were able  
23 to do when you start talking to someone about how the drill rigs  
24 work, a lot of them do not have the auxiliary permanent emission  
25 sources attached to the operation of the drill rig. There are

1 places because of the non-attainment area that they do have  
2 regulations over them and we did see that Texas has a Permit-by-  
3 Rule, but I believe Brad may have some further information on  
4 that. And so we may have similar information, but I'll defer  
5 that to Brad.

6 Slide 14. So one of the things that we did look at is  
7 when they do require air permits and pretty much across the  
8 board they required air permits when production kicks in. And  
9 they do have a fairly -- several amounts. There are variations  
10 of it, but it's basically like a minor source permit similar to  
11 what we would have here. It's for productions. They're looking  
12 at those auxiliary units. There are some places where once they  
13 go into that production they require some type of modeling  
14 around it. New Mexico would be an example of that. And like in  
15 Louisiana, they said, well, after the drill test is complete, of  
16 course they have a reason what constitutes a drill test  
17 completion, they need to get an MS permit within 10 days. So  
18 there are controls around oil production through various air  
19 quality permits.

20 Slide 15. So a little better background on the Alaska  
21 drill rigs permit program. And again, I wasn't here back then,  
22 so if someone who was back there and went through any of these  
23 things I would be happy to get input. But in 1977 Congress  
24 expanded the whole scope, so we did the PSD program. And then  
25 in the early '80s it changed the regulations to require -- the

1 requirements for the PSD and in that case they generally did not  
2 account for non-road engines.

3 Next slide please, 16. So the big key here is then we  
4 went through a series of Clean Air Act adjustments from 1989 to  
5 1990 and in 1997 they did exempt non-road engine emissions from  
6 permit applicability, but did not exempt the emissions being  
7 considered in the ambient impact analysis required by the PSD  
8 program.

9 Slide 17. So in 1999 ADEC focused on the portable oil and  
10 gas drill rigs. There was a lot of emissions coming from them.  
11 We don't have historical emission sources like large coal plants  
12 and stuff that degradate air. They seemed to operate at more  
13 extended periods of times on sites. And so we started looking  
14 at these massive emission sources and how to regulate them.  
15 John.

16 MR. KUTERBACH: Yeah, this is John. Let me jump in. It  
17 was about that timeframe, where you're saying through 1999, the  
18 concern with the emissions from drilling operations came about  
19 because of I believe it was either the North Star or the Badami  
20 PSD permit where -- I think it was the North Star. Where the  
21 drill rig itself was going to stay on site for an extended  
22 period of time as part of the PSD source. And so the modeling  
23 of the emissions of that drill rig alerted us to the fact that  
24 drill rig emissions, at least as predicted by modeling, had a  
25 significant air quality impact and that's what prompted us to

1 look at the other drilling operations that were going on using  
2 similar size sources, but were not part of the PSD permit so  
3 they didn't necessarily get that book from the Department and  
4 that was in the late '90s. So I wouldn't say that we focused  
5 our efforts on portable oil and gas activities. It was a matter  
6 of in the late '90s we discovered that the -- at least with the  
7 modeling tools that we had and trying to ensure compliance with  
8 the increment of PSD sources was very challenging, especially  
9 for the SO-2 at the time. And that's what kind of prompted the  
10 idea of regulating the drill rigs as part of the stationary  
11 sources.

12 MR. TURNER: Thank you, John. In 2004 then we went ahead  
13 and put in the minor permit for portable oil and gas drill rigs.  
14 It was established due to ongoing air concerns, which was again  
15 based on modeling, it provided a mechanism for industries  
16 operating assumptions as enforceable permit limits. There was a  
17 request by industry at the time to aligning ourselves with  
18 federal standards and it was included into the SIP minor permit  
19 -- minor permit program.

20 Slide 18 please. So for transportable drill rigs when we  
21 look at the survey and we look at Alaskans we have similar  
22 engine size. There were some smaller drill rigs in the North  
23 Dakota shale area, but we have similar engine size. There were  
24 some air quality protections in different areas. So for  
25 example, in the California programs generally they require tier

1 three or tier four engines. All the offshore in California  
2 requires highline power. Now some of that is due to they have a  
3 carbon trading mechanism and they -- by going online power it's  
4 much cheaper than to go through the carbon trading network. In  
5 some places they require natural gas. So some of that's due to  
6 non-attainment areas and I believe in parts of Texas the Oil and  
7 Gas Commission in Texas says you're wasting our resource, we  
8 don't want you flaring it or burning it in the air, we want you  
9 to use it for drill rigs. Okay. So there are different forms  
10 that could affect air quality, but not necessarily directly as a  
11 permit.

12 Slide 19 please. We just decided to put in two pictures  
13 of drill rigs. I'm sure you'll see lots of those later when  
14 Brad does his presentation.

15 Slide 20. So the question is how do they handle the  
16 ambient air monitoring. Because one of the questions we got a  
17 lot when we start asking people is they have pretty extensive  
18 air modeling networks in the lower 48. Where we may be using  
19 modeling they're using monitoring. And so a lot of it is  
20 because they're preexisting populations, the industries they  
21 have, their non-attainment areas, but there's a pretty extensive  
22 monitoring network down there and some of it's funded through a  
23 combination of industry of various types, not necessarily oil  
24 and gas industry, but it was interesting to see how much it is.

25 So we went ahead and put those into a table, slide 21.

1 Thank you, Jeanne. And we highlighted Texas in red. So Alaska  
2 has 12 monitoring stations for a state area of 572,000. If you  
3 look at Wyoming, they have a pretty extensive monitoring  
4 network. They have 275 for a fifth of the area.

5 MR. THOMAS: Question, Tom. This is Brad Thomas. The  
6 ambient air monitoring stations that are accounted in that  
7 second column, are those run by the state or is that state and  
8 industry?

9 MR. TURNER: It's state and industry. There's  
10 combinations. From what I can gather. Jeanne, is that correct?

11 MS. SWARTZ: Yes. Those are the ones that were reported  
12 on their website and sometimes they say they're industry and  
13 sometimes they don't. So I can only infer that some are  
14 industry and some are not.

15 MR. TURNER: So based on their website these are the ones  
16 that the state counts as monitoring networks. So it -- I think  
17 what's interesting to see is when you start -- and we also  
18 wanted to compare Texas which is roughly half of our size. I  
19 mean the old joke, they built the pipeline to make Texas the  
20 third largest state. But anyhow, you notice there's 229  
21 monitors in that area.

22 Slide 22 please. And again, we tried to break it out to  
23 eastern versus western states. Again, you're seeing some of  
24 these have some pretty extensive monitoring stations versus the  
25 size.

1           And the real interesting one, of course, is when you get  
2 into the California CARBs, slide 23, which is you look at a  
3 population -- a state area of 2,700 square miles and they have  
4 18 stations. But again, you know, these are California. They  
5 have greater air concerns. They also are very concerned about  
6 their transportation corridors in those states.

7           Slide 24. We tried to look at the ambient boundaries. We  
8 found this slide interesting when we were looking at how people  
9 do ambient boundaries because it really shows the protection  
10 that an individual land mass can have. And you can see that if  
11 you look at the roads, the little dots along the road, each one  
12 of those is a drill rig along the road line. And then what you  
13 have here is these are often private property or they are farms  
14 or some areas like that. And so if you're setting up an ambient  
15 boundary the question is do you have a good fence line.

16           MR. KUTERBACH: Well, Tom, then the roads though, those  
17 are public roads?

18           MR. TURNER: Those are public roads.

19           MR. KUTERBACH: So the ambient air is that public road.

20           MR. TURNER: Could be, yes. But we wanted to just look at  
21 a comparison.....

22           MR. KUTERBACH: Well, it is. I mean public roads are  
23 ambient air. That's.....

24           MS. EDWARDS: Right.

25           MR. KUTERBACH: .....there's no question about that.

1 MR. TURNER: So, next slide.

2 MS. CASTANO: And just to be clear, on that photo you said  
3 those are drilling pads. It doesn't mean that we have a drill  
4 rig permanently on each one.

5 MR. TURNER: Correct. We just wanted to kind of get an  
6 aerial shot about how they were doing ambient boundaries or just  
7 how the rigs are scattered, how many are in an area, you know,  
8 how many they might be doing. It was just kind of like, you  
9 know, let's start looking at this.

10 MR. MUNGER: Hey -- Brad. What size are we looking at in  
11 square miles there?

12 MR. TURNER: Jeanne.

13 MS. SWARTZ: Well, there's no scale with this, but these  
14 are -- you know, they're probably laid out in township range  
15 sections. So I would assume, and this is an assumption on my  
16 part, that we're looking at something like a section, something  
17 like here. Someone who's more familiar with the lower 48 and  
18 land properties can certainly stand to correct me. It was more  
19 of a visual survey of what they look like up there. So, you  
20 know, anybody have any.....

21 MR. TURNER: Okay. So.....

22 MS. SWARTZ: Oh. Sorry, Tom. (Indiscernible).

23 MR. TURNER: .....we did kind of want to look at -- we  
24 just looked into our -- I believe this was a Title 5 permit and  
25 we just wanted to do a quick comparison about what is the

1 emission levels from the engines compared to the non-rig engine  
2 and heaters that are on a site. So this is just a quick  
3 comparison of the NOx emissions. Slide 26.

4 MR. KANADY: Tom.

5 MR. TURNER: Yes.

6 MR. KANADY: Tom, is that the potential to emit or is that  
7 actual?

8 MS. SWARTZ: That's actuals.

9 MR. KANADY: Okay.

10 MR. TURNER: Jeanne mentioned actuals for those on the  
11 phone. Slide 26. We also looked at the overall NOx emissions.  
12 Jeanne?

13 MS. SWARTZ: Yes.

14 MR. TURNER: This was the slide that we got from the  
15 permitter?

16 MS. SWARTZ: Well, this is the slide that Jesse worked up  
17 from a permit that we had that is -- I believe this is a -- from  
18 a ConocoPhillips permit.

19 MR. TURNER: Okay.

20 MS. SWARTZ: The previous one -- I'm sorry, John. Do you  
21 have a question?

22 MR. KUTERBACH: Go ahead, finish your.....

23 MS. SWARTZ: The previous slide was from a BP permit and  
24 this is a different one.

25 MR. KUTERBACH: Okay. So if you got the numbers from the

1 -- this is John. If you got the numbers from the permit then  
2 those would have to be potential numbers. Right?

3 UNIDENTIFIED MALE: Right. Right.

4 MR. KUTERBACH: They're not the actual numbers. The  
5 actual numbers you have to get from an operating report.

6 MS. SWARTZ: Well.....

7 MR. MUNGER: So that applies to the previous slide then  
8 too?

9 MR. THOMAS: That was my guess, Mike. This is Brad  
10 Thomas. Because those previous slides said it came from a 2004  
11 modeling analysis which would imply permit allowable or  
12 potential to emit.

13 UNIDENTIFIED MALE: Yeah.

14 MS. SWARTZ: Okay.

15 MR. TURNER: Okay. And we can go to slide 28. This  
16 relates to the other one.

17 MS. SWARTZ: Yeah, that is BP.

18 MR. TURNER: Yeah. Slide 28 please. So basically we  
19 still have to protect ambient air quality. Drill rigs do  
20 produce a significant amount of pollutants. Other states have  
21 and are concerned about air emissions. Auxiliary units  
22 generally produce a fair amount of emissions and require  
23 regulations. So, questions. Slide 29.

24 MR. MUNGER: Just for my educational opportunity here,  
25 non-attainment areas, what is it exactly? I assume, but I'd

1 like to know for -- from an expert.

2 MR. KUTERBACH: Looking at Tom's nervous face, I will  
3 explain. This is John. I will explain what a non-attainment  
4 area is.

5 MR. MUNGER: Thank you.

6 MR. KUTERBACH: Okay. A non-attainment area is an area  
7 that we have with EPA confirmed does not currently meet the  
8 ambient air quality standards. And those areas have more  
9 stringent requirements because we not only have to protect them,  
10 we have to clean them up.

11 MR. MUNGER: Okay.

12 MS. EDWARDS: Typically non-attainment areas, the way the  
13 state monitoring network in this state, as you noted in the one  
14 slide, we don't have a large monitoring network in this state.  
15 Most of the state monitors are in population centers, so the  
16 larger cities, and so those are the areas that we would have  
17 data to be able to confirm non-attainment or not when EPA  
18 updates its air quality standards. So Fairbanks is -- for  
19 example, is really our prime non-attainment area right now for  
20 fine particulate matter.....

21 UNIDENTIFIED MALE: Sure.

22 MS. EDWARDS: .....because we've been able -- we've  
23 monitored that -- those violations.

24 MR. MUNGER: Do we have any non-attainment areas  
25 attributed specifically to the oil and gas industry say on --

1 either in Cook Inlet or on the North Slope?

2 MS. EDWARDS: No.

3 MR. MUNGER: Okay.

4 MR. TURNER: What's interesting, Mike, since you brought  
5 it up, down in the lower 48, like in Wyoming, because of a non-  
6 attainment area BLM is putting regulations on the drill rigs.

7 MS. EDWARDS: So the permit program is designed to prevent  
8 non-attainment issues. I mean that's part of what the permit  
9 program and the prevention of significant deterioration program  
10 is designed to do is to try and prevent air quality from.....

11 UNIDENTIFIED MALE: (Indiscernible).

12 MS. EDWARDS: .....from various activities to cause non-  
13 attainment status.

14 UNIDENTIFIED MALE: Okay.

15 MS. CASTANO: So just to add to the comment you made, this  
16 is Alejandra from AOGA, about Wyoming. We did a little bit of  
17 research too. We have operations there as well. And it's a  
18 little more subtle than that. In their case they have Sublette  
19 County which I believe is non-attainment for ozone and so  
20 looking at that problem and saying okay, well, is it NOx driven,  
21 is it VOC driven, they started to see what other controls and  
22 offsets they could put together for controlling their NOx for  
23 those operations. So really they were putting federally  
24 enforceable limits on the rigs in order to create these offsets.  
25 So it's a little more subtle than that.

1 MR. THOMAS: We actually get into that in more detail in  
2 our presentation.

3 MS. CASTANO: Okay. So we'll go over that, yeah.

4 MR. TURNER: But the rigs do have to have some type of  
5 restrictions or controls because of their air emissions.....

6 MS. CASTANO: In order to get the offsets.

7 MR. TURNER: .....(indiscernible) non-attainment area.

8 MS. CASTANO: In order to get the offsets, yeah.

9 MR. TURNER: Correct. So while it's not directly because  
10 of the drill rigs, because of the non-attainment area the drill  
11 rigs do have to have some type of regulation or control their  
12 emissions. Correct?

13 MR. THOMAS: Uh-huh (affirmative).

14 UNIDENTIFIED MALE: Within that non-attainment area.

15 MR. TURNER: Yes.

16 MS. CASTANO: Right.

17 UNIDENTIFIED MALE: And again, we don't have any non-  
18 attainment areas associated with oil and gas operations in the  
19 state.

20 MR. KUTERBACH: No. Most of our areas are either  
21 attainment or.....

22 MS. EDWARDS: Unclass.....

23 MR. KUTERBACH: .....unclassifiable which means we don't  
24 know, but we haven't confirmed that they're in violation.

25 UNIDENTIFIED MALE: Okay.

1 MS. EDWARDS: Where we don't have monitoring data for a  
2 particular area generally that area when they do designations is  
3 just considered unclassifiable. The case of most pollutants,  
4 the EPA will designate those areas as attainment,  
5 unclassifiable. The one pollutant which they are deviating from  
6 that approach is for sulfur dioxide and they're working through  
7 the implementation of the new one hour sulfur dioxide standard,  
8 ambient air quality standard now where states will be having to  
9 look at all the unmonitored areas to try and determine whether  
10 or not there are non-attainment areas that are not being  
11 monitored. So -- but typically designations are based on actual  
12 monitoring data. So if there aren't monitors there EPA will  
13 assume -- unless there's data to suggest otherwise EPA will  
14 assume that they're unclassifiable, but will put them in sort of  
15 the attainment. You know, if you have two camps, attainment and  
16 non-attainment, they'll sort of slide them all into the  
17 attainment camp, but it doesn't mean that they know with  
18 certainty that there is no violation there.

19 MR. THOMAS: And if I could just add to that, Alice. The  
20 -- you're correct, like the North Slope is unclassifiable  
21 because there's no ambient data there collected for that SLAMS  
22 network, the State Local Area Monitoring. But there is a lot of  
23 ambient data collected on the North Slope, for example, that can  
24 be used to estimate the air quality and there's tons of that.

25 UNIDENTIFIED MALE: It's just not.

1 MR. THOMAS: Yeah, there's a lot of that data.

2 MS. EDWARDS: Well, and we -- the data exists and we do  
3 look at it. So if we're making recommendations for a new  
4 standard and we know that there's some industry data out there  
5 we'll take a look at it and see if we see anything of concern  
6 and if we did we'd certainly be talking to folks about it.

7 MR. MUNGER: I would assume the non-attainment areas would  
8 -- in Alaska would be the population basis.

9 MS. EDWARDS: Typically that's where the monitoring  
10 networks are looking and typically the pollutants that we tend  
11 to have problems with tend to be more community based  
12 pollutants.

13 MR. MUNGER: Okay. Thank you.

14 MR. KANADY: So I just have a general question. You noted  
15 in your presentation, Tom, that there are 12 monitoring stations  
16 in the state of Alaska. I guess how many of those -- this is a  
17 question for Brad or Alejandra. How many of those are located  
18 on the North Slope?

19 MS. CASTANO: We have A Pad and the one between CCP and  
20 CGF and then you guys have four.

21 MR. THOMAS: Yeah, we got Wainwright. We had drill site  
22 one up until June, CD-1 and Nuiqsit.

23 UNIDENTIFIED MALE: Five or six?

24 MR. THOMAS: That's a total of six.

25 MS. EDWARDS: So the 12 that were in the list for us, are

1 those the state sites or are those the state and industry sites?

2 MS. SWARTZ: Those are the state sites because those are  
3 what I had the data for, so.

4 MS. EDWARDS: Right.

5 MR. KANADY: Okay. So.....

6 MS. SWARTZ: So there's.....

7 MR. KANADY: .....the six on the Slope may -- probably  
8 didn't show up in those or.....

9 MS. SWARTZ: That's correct.

10 MS. EDWARDS: Right. That's not in that list because they  
11 didn't report it to EPA.

12 MR. BARRON: So -- okay. So how many that were listed of  
13 the 12 on the state side are on the slope?

14 MS. EDWARDS: None. None of them are on the Slope.

15 MR. BARRON: None of them. Okay. Because they're a non-  
16 attainment area.

17 MS. EDWARDS: No.

18 UNIDENTIFIED MALE: No.

19 UNIDENTIFIED FEMALE: (Indiscernible).

20 MS. EDWARDS: The reason there aren't any on the Slope is  
21 because most of the time when EPA does a standard they focus in  
22 the monitoring requirements into the population centers. And so  
23 when they come out with an ambient air quality standard  
24 generally they'll say, well, we need so many monitors and we  
25 want them in populations -- you know, areas with populations

1 over a million or we want so many monitors in a community the  
2 size, you know, of 50,000 or 200,000 or 500,000. So EPA's  
3 monitoring regulations for ambient monitors tend to drive our  
4 monitoring network in -- and it's historically driven our  
5 monitoring network into our major cities essentially, Anchorage,  
6 Fairbanks, Juneau, Mat-Su Valley, some of the Cook Inlet sites,  
7 but not so much into rural parts of the state or into places  
8 like the North Slope. The monitoring requirements tend to put  
9 the ambient monitors where the most population is.

10 UNIDENTIFIED MALE: Okay.

11 MS. EDWARDS: And that's what EPA funds.

12 MR. KUTERBACH: Do they -- excuse me. This is John. And  
13 the EPA requirements for the state monitoring system have  
14 specific requirements on where they're located and how they  
15 represent a particular area whereas in most cases when we have  
16 monitoring associated with a permitted source it's oriented  
17 towards capturing emissions from that permitted source, not the  
18 regional air quality.

19 MS. EDWARDS: That's true. Most of the state's monitoring  
20 sites are -- would be sort of community based monitoring sites  
21 based on looking at exposure to pop -- you know, population  
22 exposure.

23 MR. TURNER: And it was our understanding like Wyoming  
24 made a choice to set up a network of monitoring stations across  
25 the state so that they can use that as on the ground data for

1 any air violations that could happen. So that way they can be  
2 checking that data on a regular ground network. We don't have  
3 that kind of network up here. And those -- the monitoring  
4 stations if I'm correct, I believe that if Jeanne got those off  
5 their website we don't know if industry has other ones out  
6 there. We went off what the state said were monitoring  
7 stations. So in the case of Wyoming they made a decision to set  
8 up this very expensive -- this very extensive monitoring  
9 network.

10 MS. EDWARDS: Mike, did you have a.....

11 MR. DAMIANA: I think that a difference in Wyoming is that  
12 pretty much all industry sites are uploaded to the AQS system,  
13 so I think that probably the 275 includes all of the industry  
14 sites as well.

15 MR. TURNER: Please -- for the transcriptionist, who was  
16 that?

17 MR. DAMIANA: This is Tom Damiana.

18 MR. TURNER: Thanks, Tom.

19 MS. EDWARDS: Mike, did you have another question? Do we  
20 have other questions?

21 MR. WEDIN: Just for clarification. And again, Tom, I may  
22 have misunderstood. But you -- when you were referencing  
23 Wyoming and BLM you said there were rig requirements in the non-  
24 attainment area in Wyoming. Is that correct?

25 MR. TURNER: It's my understanding, yes.

1 MR. WEDIN: Okay. But outside the non-attainment area, in  
2 areas that are not non-attainment there are not?

3 MR. TURNER: Not for drilling operations.....

4 MR. WEDIN: Okay.

5 MR. TURNER: .....but for production.

6 MR. WEDIN: Right. Okay.

7 MR. MUNGER: I do have one more question. The 12 sites  
8 within the -- that the state -- that you reported on, is any of  
9 those the Municipality of Anchorage's sites? They have their  
10 own program, is that.....

11 MS. EDWARDS: I would.....

12 MR. MUNGER: .....part of that?

13 UNIDENTIFIED FEMALE: Yes.

14 MS. EDWARDS: Yeah, that would be included, Mike.

15 MR. MUNGER: Thank you.

16 MR. BARRON: To the caller on the phone, the reference  
17 that the sites in Wyoming are uplinked into the state system, is  
18 that something that could be done in our system? The sites that  
19 the industry has referenced, what, you know, half a dozen to  
20 nine that are available, could those sites be incorporated in  
21 the state's database?

22 MS. EDWARDS: I would think that we could. If it was  
23 transmitted to us in the right format they could be uploaded.  
24 Yeah. I mean tech -- I mean it's feasible. I don't know tech  
25 -- you know, from a technology perspective what we would have to

1 do to be able to do that. But yes, technically we could upload  
2 them. I believe they would have to meet the quality assurance  
3 requirements for the SLAM sites, for the State Local Air  
4 Monitoring sites.

5 MR. BARRON: Right.

6 MS. EDWARDS: If they met those quality assurance  
7 requirements then I think they could be loaded up and then --  
8 and put up on the EPA site as well.

9 MR. BARRON: Okay. Yeah, I'm just thinking.....

10 MS. EDWARDS: It's not -- it's doable. I don't -- I mean  
11 I don't know logistically what it would take to do it, but it's  
12 doable.

13 MR. BARRON: No, I appreciate that. Part of that was kind  
14 of an academic question of if you could get more data and have  
15 it more broadly distributed across the state would that be an  
16 advantage to decision makers in their direction toward making  
17 policy because you would have more data that was publicly  
18 available. So just food for thought.

19 MS. EDWARDS: Other questions. Should we go ahead and  
20 Brad, are you going to do the next presentation?

21 MR. THOMAS: Yeah.

22 MS. EDWARDS: Because I'm sure there's going to be a lot  
23 of similar information because I'm sure we called and talked to  
24 similar people.

25 MR. THOMAS: They said that to us.

1 MS. EDWARDS: But.....

2 MS. CASTANO: You're the second person calling about this.

3 MR. TURNER: Are you the state or the oil guy?

4 MS. EDWARDS: So.....

5 MR. THOMAS: Which answer do you want?

6 MS. EDWARDS: So why don't we let -- why don't we hear  
7 what else -- what they found as they did their -- they surveyed  
8 folks as well and we can continue our discussion.

9 (Whispered discussion)

10 MR. THOMAS: So the research that we did, we came up  
11 largely with the same results that the -- that ADEC did. And  
12 Tom, that was a good presentation. But we -- but the  
13 presentation here is very much more narrowly focused. We wanted  
14 to find out how other states regulated drill rig activity  
15 through their air permitting programs, if at all, and so what  
16 they did. And for context, Jeanne, if you can go to the first  
17 slide.

18 MS. SWARTZ: Sorry. I apologize, Brad. I'm getting used  
19 to this. Zoom in on -- excuse me, I'm going to enlarge this  
20 just a bit. Okay. There we go. Thank you.

21 MR. THOMAS: So for context, I start off for several  
22 slides just showing what the different drill rigs look like in  
23 the different locations and as I speak if you can just slowly  
24 scroll through those pictures. What we found are the drill rigs  
25 in the local 48 and the drill rigs in Alaska are largely

1 similar. If there is a difference, from what I understand from  
2 talking to the drilling companies themselves, it's because the  
3 pipe sheds are heated in Alaska where in the lot 48 they may not  
4 be. But the main generators, the main power plants on the rigs,  
5 the pumping capability and so on, it's all pretty much the same.  
6 They all drill through rock, they all take a lot of horsepower  
7 to do that and it's just colder in Alaska so we may have a need  
8 for a little bit more air heat. But the boilers are about the  
9 same on the rigs in the lower 48 and Alaska.

10 So you can go to the next slide, Jeanne. Marcellus shale.  
11 We -- I just got some pictures from the Permian Basin and the  
12 Marcellus Shale Basin and then on the fourth slide I've got a  
13 picture of a 1J development. These are a couple of Doyon rigs  
14 in Kuparuk on drill site 1J, 50,006.

15 So the rigs look the same and, as Tom pointed out, we just  
16 have the need to enclose more space because of the cold. And  
17 that's based -- and on the next slide is some Cook Inlet drill  
18 rigs. Not quite as enclosed, but, you know, largely similar to  
19 what you see in North Dakota and Wyoming. These are a couple of  
20 examples provided by Hilcorp. They're rigs down in Cook Inlet.

21 Now we actually included on the following slide a example,  
22 a survey I guess of our -- of inventories that we were able to  
23 land. We -- when we looked for these inventories of the lower  
24 48 drill rigs we tried to find heater and boiler information.  
25 Couldn't find it. We got it for our own rigs, of course, in

1 Alaska. And again, my suspicion is if there's any difference in  
2 the heater and boiler inventories on rigs in the lower 48 and  
3 those in Alaska it's going to be the air heat needs for those in  
4 Alaska because we heat the pipe shed. But you think about drill  
5 rigs operating in the wintertime in Wyoming or North Dakota,  
6 it's cold. Those guys on those rigs need heat too. So they've  
7 got the heat, I have no doubt, maybe just a little bit less.  
8 But the horsepower requirements on the rigs in the lower 48 and  
9 those in Alaska are largely the same. The depths to which we  
10 drill are largely the same.

11 MR. MUNGER: What is that last column, Tom? What is that  
12 title?

13 MR. THOMAS: Heater boiler, millions of BTUs.

14 MR. MUNGER: Okay.

15 MR. THOMAS: We -- and as you can see for the rigs in the  
16 lower 48, the ones -- the lower 48 rigs are the -- what color is  
17 that, magenta? Up on top.

18 UNIDENTIFIED FEMALE: Yeah.

19 MR. THOMAS: We couldn't find the information, so there's  
20 a lot of question marks.

21 UNIDENTIFIED MALE: Great.

22 MR. THOMAS: But the Alaska rigs are those in the light  
23 blue on the bottom half of the table as we had more heater  
24 boiler information.

25 So the rigs -- so we -- you know, when we talked about the

1 state regulatory programs we wanted to get a sense of are the  
2 rigs different down there than up here. And then we went to  
3 what about rig activity, is the rig activity in the lower 48  
4 different than what we see in Alaska. So we wanted to develop  
5 that context as well. If you go to the next slide we present  
6 the 22 year average of weekly rig counts in the lower 48 and  
7 Alaska. And this information comes from a phenomenal website,  
8 Baker-Hughes. They maintain rig activity data going back in the  
9 case of Alaska all the way to 1968. We plotted here from 1990  
10 to 2012 for consistency. But these are counts of active  
11 drilling rigs for the most part drilling new hole, the -- sort  
12 of the bits turning right in the hole. They are -- there -- you  
13 know, there's going to be some errors with the website, there's  
14 going to be worked over rigs counted and so on, but for the most  
15 part they wanted to get active drilling rigs drilling new hole.  
16 So these are the average rigs counts. Texas of course takes the  
17 cake. There's a lot of activity in Texas. They've got the  
18 Permian Basin. They've got the Barnett shale. They've got  
19 Eagle Ford. So there's a lot of activity in Texas for drilling.  
20 In Alaska it averages over the 22 years about nine rigs per  
21 week. In Texas in comparison, 474, so Texas is probably not a  
22 good comparison. North Dakota averages 38 rigs per week over  
23 that 22 year span, but if you look at North Dakota right now  
24 there's a lot more going on there now because of the Williston  
25 Basin. So again, that's a 22 year average. And I will say, and

1 we have a slide to show this a little bit later, that the 22  
2 year average for Alaska of nine per week, we don't deviate much  
3 from that. We haven't since at least 1981 or '84. We stay  
4 pretty close to nine per week in the state.

5 So you can go to the next slide, Jeanne. That's a plot of  
6 the 22 year average and you can see Texas takes us -- it really  
7 does obscure the scale. I mean Alaska is down there near the  
8 bottom. The states that get the most activity are Alaska,  
9 Louisiana, right now North Dakota. I said Alaska. I meant  
10 Texas, Louisiana, right now North Dakota, Oklahoma.

11 So the next slide we take those four states out to get the  
12 scale a little more amenable to seeing where Alaska lies. So if  
13 you go to the next slide, Jeanne. There's two red lines. One  
14 is Kansas and one is Alaska. Alaska's actually below Kansas.  
15 So I put those arrows, the tips of those arrows to where Alaska  
16 should show up on that chart. It's really obscured by the other  
17 states. And in the second presentation I give this afternoon  
18 I'll show Alaska in a lot more detail so you can see the Alaska  
19 activity since 1968. But in comparison when you talk about  
20 drill rig regulation in the lower 48 the activity down there is  
21 much higher. It's much higher. So that's context.

22 And if we look at rig density, so if you go to the next  
23 slide. In the Williston Basin which is North Dakota. We call  
24 it the Bakkan. You know, in that area -- and just for the sake  
25 of scale we put the Nuiqsit, the Deadhorse line on there.

1 That's about a 80 mile distance. You can see that in -- you  
2 know, in that area you can see the density is pretty high. In  
3 this particular case, the week ending August 2nd, there's 181  
4 rigs in that area and they're for the most part drilling for  
5 oil. Blue is oil, red is gas.

6 And the next slide is the Permian, about 463 rigs during  
7 the week of August 2nd. The scale is on there as well from  
8 Nuiqsit to Deadhorse. It's quite dense. There's quite a lot of  
9 drilling activity. So when Tom had the picture up of the North  
10 Dakota pads the odds were pretty good that those pads were  
11 occupied by rigs at the time because of the density.

12 And just for the sake of comparison I threw Alaska in on  
13 the next slide. You know, I mentioned that there's an average  
14 -- a 22 year average of nine rigs per week. This particular  
15 week we had 12. We stay pretty close to nine from year to year,  
16 from week to week. So the density in Alaska is quite different  
17 than what you see in the lower 48.

18 So the states that we called, if you go to the next slide,  
19 we actually contacted two, four, six, eight, 15 states. And the  
20 results of our contact with those states are on the next slide.  
21 We discovered that there's really only two locations where an  
22 air program -- aside from Alaska there's two other locations  
23 where air programs get at drill rigs. One is the Jonah Pinedale  
24 Anticline Development in Wyoming and the other is in Forest  
25 (ph), California, the individual districts in California. All

1 the other programs that we contacted, they don't have any drill  
2 rig permitting programs. In the case of Texas they do have a  
3 Permit-by-Rule program for oil and gas development. After we  
4 found that out we went to the state regulations and studied that  
5 and it appears to us that the Permit-by-Rule program in Texas is  
6 to get at stationary compressors, stationary boilers, stationary  
7 tanks, get a fusion of leaks from the piping that comes off the  
8 pad, but we couldn't find where the Texas Permit-by-Rule program  
9 actually got at the drill rigs. And Tom mentioned California's  
10 individual program, individual district programs. They are very  
11 stringent. They're very stringent on paper I can tell. In  
12 practice I haven't seen how they work, but they do look very  
13 stringent in California. To focus a little bit more on the  
14 Jonah Pinedale Alticline Development in Wyoming, through an  
15 environmental impact assessment or environmental impact study or  
16 statement the Bureau of Land Management became concerned about  
17 wintertime ozone levels. I don't know that Wyoming has any non-  
18 attainment areas for ozone because I do have a map in here that  
19 shows that, but they do have elevated ozone in the winter. And  
20 to address that they required the rig operators to get state  
21 permits with enforceable limitations on the rigs to keep their  
22 NOx commissions down so that they limit their NOx emissions  
23 fairly stringently. And Randy and I actually traveled down  
24 there last year to look at that and what they do in Wyoming to  
25 address those NOx emissions is they actually have selective

1 catalytic reduction on the main power plants on the rigs. But  
2 it is to address an ozone issue that BLM identified. In no  
3 other state, again, could we find existing drill rig regulatory  
4 programs within the air quality program, although Colorado and  
5 West Virginia told us they're thinking about it to address non-  
6 attainment areas, so. Is that what you were going to say, John?

7 MR. KUTERBACH: I was just going to ask you if you'd asked  
8 them if anybody was considering.....

9 MR. THOMAS: Yeah.

10 MR. KUTERBACH: .....the issue of -- because, you know,  
11 with all those rigs (indiscernible).

12 MR. THOMAS: In Colorado in the front range -- in the  
13 front range of Colorado they have an ozone non-attainment issue.  
14 So Colorado, whether they're doing it for that reason or not I  
15 don't know, but they are considering a rig permitting program.  
16 West Virginia I think explicitly said that because in the  
17 northern part of the state they have ozone issues they are  
18 considering it there as well.

19 MR. KUTERBACH: Actually, this is John, Colorado looked at  
20 regulating rigs back in 2001 I believe. They came up to look at  
21 what we were doing with rigs because we were just getting  
22 started with that at the same time because they have that  
23 concern. Obviously they didn't do anything at that time, but as  
24 you said, I think they're relooking at that possibility.

25 MR. THOMAS: Right. And just for sake of reference, the

1 next slide is the ozone non-attainment areas. And for the sake  
2 of background for the non-air quality folks in the room, when we  
3 talk about drill rigs I think three pollutants today -- SO<sub>2</sub>  
4 became a nonissue because we burn sulfur diesel in those. So  
5 the three pollutants left where non-attainment might be a  
6 concern are PM-2.5, NO<sub>2</sub> and ozone. And I don't believe in the  
7 U.S. currently from our analysis that anybody is classified as  
8 non-attainment for the one hour NO<sub>2</sub> yet. I think they're -- I  
9 think EPA gave everybody an attainment they're unclassifiable at  
10 this point.

11 MS. EDWARDS: I think so as well. I'm not aware of any --  
12 I'd have to go look, but yeah, I'm not aware of any.

13 MR. THOMAS: Right.

14 MS. EDWARDS: It may be they haven't made it all the way  
15 through their designation process and it may be that the data  
16 doesn't exist that everybody sitting in that unclassifiable  
17 statement or unclassifiable range was -- and then they're  
18 obviously taking that different approach to SO<sub>2</sub>, so.

19 MR. THOMAS: Yeah. Yeah.

20 MS. EDWARDS: Yeah.

21 MR. THOMAS: So for PM-2.5 we did -- we don't have a  
22 modeling issue with PM-2.5, so I focused on ozone which is a  
23 result of the reaction between atmospheric VOC and NO<sub>x</sub>, nitrogen  
24 oxides. So the more NO<sub>x</sub> you get omitted and the more VOC,  
25 (indiscernible) organic compounds, you're getting that given

1 certain atmospheric conditions the higher your odds of getting  
2 ozone. So I focused on ozone non-attainment areas, places where  
3 folks would be -- you know, they would consider regulating  
4 engines to limit NOx emissions. And obviously California has  
5 had a historical problem with ozone, a longstanding historical  
6 problem, so that's why California has those very stringent  
7 regulatory programs for things like non-road engines. In the LA  
8 area they have an extreme ozone non-attainment problem. You go  
9 a little bit farther east towards the Bakersfield area it gets  
10 in the classification of severe. These are actually  
11 classifications that EPA uses for non-attainment. And you get a  
12 little farther north it's a serious non-attainment issue. So  
13 California has the programs. They're driven to regulate a lot  
14 of the emission because of their non-attainment problems. And  
15 you can see on the map Colorado, the front range area where they  
16 have the ozone non-attainment issue, that's where all the  
17 drilling activity occurs in Colorado. And over in West  
18 Virginia, Pennsylvania, that's the Marcellus shale. Eastern  
19 Ohio, western Pennsylvania, up to the bottom of New York,  
20 northern West Virginia, non-attainment issues. Now whether  
21 that's associated with drill rigs is an open question, but  
22 obviously as you get to the eastern part of the U.S. there's  
23 transportation corridors that -- you know, there's a lot more  
24 people. A lot more people.

25 MS. EDWARDS: Most of the existing ozone non-attainment

1 areas in the lower 48 are big metropolitan areas.

2 MR. THOMAS: Yeah.

3 MS. EDWARDS: Traffic has been a huge -- motor vehicle  
4 emissions have been a huge issue. They -- cars also put out a  
5 lot of nitrogen oxides.

6 MR. THOMAS: Right.

7 MS. EDWARDS: So a lot of times -- and also when you think  
8 about how EPA's monitoring network is set up it focuses into the  
9 major cities as well. So major metropolitan areas, that's where  
10 people talk about smog and that's where you see the ozone. So  
11 that's -- most of the existing non-attainment areas in the lower  
12 48 for ozone tend to be focused around large urban areas. The  
13 one thing with ozone just to keep in mind is that over the last  
14 decade EPA has been looking at ozone standards and everybody  
15 expects that the ozone standards will become more stringent over  
16 time and if they do there are a lot of areas in the rural west  
17 that are -- that could potentially become ozone non-attainment  
18 areas which is why a lot of states are keeping an eye both on  
19 the ambient air quality standards as well as the types of  
20 activities that produce the precursor pollutants for ozone  
21 because they kind of can see where this is headed.....

22 MR. THOMAS: Yeah.

23 MS. EDWARDS: .....in the long term.

24 MR. THOMAS: Yeah. And to echo what Alice said, if --  
25 focusing on Colorado where the non-attainment areas are, that's

1 the -- I called that the front range earlier. That's Denver up  
2 through Fort Collins, you know, that highway that goes north  
3 into the populated areas of Wyoming. We go west into Utah, you  
4 know, you're looking at the Salt Lake.

5 MS. EDWARDS: Salt Lake City and you see Boise area,  
6 Idaho.

7 MR. THOMAS: Boise, Idaho.

8 MS. EDWARDS: Oregon and Washington have done a pretty  
9 good job of addressing their ozone issues to date, but might --  
10 that might change if the standard became more stringent.

11 MR. THOMAS: Right.

12 MS. EDWARDS: But usually most of these areas are big  
13 metropolitan areas.

14 MR. THOMAS: Well, the -- go ahead.

15 MR. KUTERBACH: Yeah, this is John. I had a question  
16 about -- I notice there's no block in Wyoming.

17 MR. THOMAS: That's -- I don't think Wyoming's been  
18 classified as non-attainment. BLM identified a wintertime ozone  
19 problem.

20 MR. KUTERBACH: Okay.

21 MR. THOMAS: And that's what they attempted to address.  
22 Did you get information, Tom, that they were non-attainment?

23 MR. TURNER: I -- no. We'll have to check into that.

24 MS. EDWARDS: The other thing, when EPA does non-  
25 attainment designations they tend to do them when they revise

1 their standards. So sometimes you can have an area that's maybe  
2 flirting with the standard, but it hasn't been designated yet  
3 and Wyoming may be in that situation where it's approaching or  
4 exceeding this standard or a proposed standard and -- but it  
5 hasn't yet been designated. So that's also a possibility, that  
6 they're monitoring some higher concentrations.

7 MR. BARRON: Yeah. This is Bill. The other thing, I  
8 think it's important to point out that as you look at that map  
9 as I -- and specifically look at Texas and specifically look at  
10 west Texas.....

11 MR. THOMAS: Yeah.

12 MR. BARRON: .....that is the entire county of El Paso and  
13 the only major metropolitan area of the county of El Paso is the  
14 city and it is -- it's a huge county. So the attainment area  
15 looks like it's on a countywide basis, not just the population  
16 center.

17 MS. EDWARDS: That's true. When EPA makes non-attainment  
18 designations they typically go to jurisdictional boundaries. So  
19 -- and this is not necessarily the case with Alaska's non-  
20 attainment areas. We -- because our counties or boroughs.....

21 UNIDENTIFIED MALE: Boroughs.

22 MS. EDWARDS: .....our census areas are so large we've  
23 typically had boundaries that are smaller, but in many, many  
24 states the boundaries of the non-attainment areas are either at  
25 county boundaries or they're the boundaries of like the

1 consolidated metropolitan statistical areas.

2 UNIDENTIFIED MALE: Right.

3 MS. EDWARDS: So they'll go out and they'll capture all  
4 the counties surrounding that major metropolitan area that they  
5 think are contributing to the -- could be contributing to the  
6 problem or transporting pollution in. So a lot of times you'll  
7 see a single county or multiple counties that surround are a  
8 part of a major metropolitan area.

9 MR. BARRON: Right. But I think it's important to  
10 understand that -- and again, having been born and raised in El  
11 Paso, that that's the only source really available. So I mean  
12 it -- just because there's a blob it doesn't necessarily mean  
13 that the non-containment area or the ozone non-attainment area  
14 is actually that large. It just happens to go to the boundary.

15 MS. EDWARDS: Right. The other thing, especially along  
16 the southwest boundary -- the southwestern boundary of the U.S.  
17 is you also have transport of pollution coming in from Mexico,  
18 so you have trans-boundary pollution impacting those non-  
19 attainment areas as well from the other side of the border which  
20 would have different regulatory and -- requirements.

21 MR. THOMAS: Yes. And so the final thing to say about  
22 this slide is, as Alice mentioned, there's a strong correlation  
23 between ozone non-attainment and population and transportation.  
24 You know, no correlation essentially with drill rig operations.  
25 Because if you look at west Texas, the Permian Basin, which is

1 just below the panhandle, no non-attainment. Up in the  
2 Williston Basin North Dakota, no non-attainment for reasons that  
3 could be numerous, but the correlation on this map at least is  
4 with population centers.

5 And the final slide is just a summary of what we've  
6 presented. When looking at the Alaska drilling activity the  
7 density's low. The number of rigs per week is low compared to  
8 the lower 48. The drilling equipment in Alaska is very similar  
9 to that in the lower 48. As we mentioned, if there's a  
10 difference it might be because we heat pipe sheds and they don't  
11 down there. And I want to reemphasize that, you know, we've  
12 collected a lot of ambient air data around drill rigs in Alaska  
13 over the last several years and we're not seeing any ambient air  
14 quality exceedences from our drilling activities. Pennsylvania  
15 has studied -- they've performed -- they're in the midst of  
16 performing studies and the results that they have collected so  
17 far show that they are not finding any ambient air quality  
18 issues around drill rigs either. They're in the Marcellus shale  
19 where there's high drill rig density, but even with that high  
20 density they're not seeing the ambient air quality exceedences  
21 that might be of concern.

22 MR. KUTERBACH: And Brad, that's from their existing  
23 monitoring network they're not seeing it, the regional model  
24 monitoring?

25 MR. THOMAS: No. No. What I linked here was an example

1 of a short term study where they went out with a van, you know,  
2 a mobile ambient air quality collection thing and they just went  
3 around drilling operations to see what they could find. And  
4 they're engaged right now in a longer term study. I think  
5 they're going to build a dedicated ambient monitoring site to  
6 see what's going on with the drill rigs, drilling activities.  
7 They're focused on the drilling activities, not just drill rigs.

8 MR. KUTERBACH: And then one other question. On that --  
9 the slide before this, the ozone, what years was that based on?  
10 It looks like it was 2004?

11 MS. EDWARDS: 2008.

12 MS. CASTANO: No, 2008.

13 MR. THOMAS: Yeah, it's got to be after 2008.

14 UNIDENTIFIED MALE: Well, no.

15 MS. EDWARDS: Well, the date it looks like is.....

16 UNIDENTIFIED MALE: 2004 to 2000.....

17 MS. EDWARDS: .....2004 to 2008.

18 MR. KUTERBACH: 2004.....

19 MS. EDWARDS: Four, five, six.

20 MR. KUTERBACH: .....to 2000 -- I can't read it, but it's  
21 2004 to something.

22 MS. EDWARDS: I think it's 2004 to 2006.

23 UNIDENTIFIED FEMALE: Yeah.

24 MS. EDWARDS: Which is.....

25 UNIDENTIFIED FEMALE: (Indiscernible).

1 MS. EDWARDS: .....probably the data they had at the time.

2 UNIDENTIFIED MALE: Yes, 2006.

3 UNIDENTIFIED FEMALE: 2006.

4 UNIDENTIFIED MALE: Yep.

5 MR. KUTERBACH: Okay. So that hasn't captured the  
6 activity in those -- at least the designations haven't captured  
7 any new activity yet.

8 MR. THOMAS: Right. Yeah, this is the -- from my  
9 understanding the latest designation we have from EPA.

10 MS. EDWARDS: Right.

11 MR. THOMAS: So, questions.

12 MR. BARRON: So I'm -- this is Bill. I'm sitting here  
13 listening to this and I'm trying to understand how do we  
14 reconcile the differences between the last slide, 14. If we can  
15 go back one. How do we reconcile that slide with slide six  
16 through eight of the previous presentation? Where in that  
17 presentation the column that is -- says permits required during  
18 oil and gas production are all yeses.

19 MR. KUTERBACH: Well, I think the difference, Bill.....

20 MR. BARRON: .....and here they're all no.

21 MR. KUTERBACH: This is John. I think the difference,  
22 Bill, as Brad started off, their questioning was very narrow.  
23 They asked do you require a drill -- a permit for a drill rig.

24 MR. BARRON: Right.

25 MR. KUTERBACH: Whereas what Tom's information was, was

1 was there a permit required for.....

2 MR. TURNER: Oil and gas production.

3 MR. KUTERBACH: .....oil and gas production.

4 MS. CASTANO: Which is after the drill rig.

5 MR. KUTERBACH: Which is after the drill rig.

6 MR. BARRON: Or it could be during drilling.

7 MR. KUTERBACH: It could be during drilling as well, but  
8 they require it for oil and gas production according to what Tom  
9 found out.

10 MR. BARRON: Okay. That's what I thought. I just wanted  
11 to make sure that -- because, you know, as you go back through  
12 these slides later without that being clear in the transcript  
13 that it could be really confusing to the uninformed.

14 UNIDENTIFIED MALE: Yes.

15 MS. EDWARDS: In the discussion with the other states,  
16 Brad or Jeanne or Tom, had any of them -- did any of them raise  
17 the issue of the one hour standard? Had any of them thought  
18 about -- were they thinking about having to do anything in  
19 relation to the one -- given that the one hour standard is a  
20 relatively new standard are any of the other states that you  
21 talked to, did any of them specifically talk about the one hour  
22 standard versus the ozone issue? Because I understand the ozone  
23 issue down there, but with regard to one hour standard were any  
24 of them looking at it in relationship to that?

25 MR. TURNER: Yes.

1 MS. EDWARDS: Or to any -- were any -- because this is  
2 something the states, with a new standard we've got to kind of  
3 weave all this well to try and figure out how we're going to  
4 protect for the new standards and I just wondered if other  
5 states were looking at it more from the one hour NO2 standpoint  
6 versus the potential for ozone -- the need for additional ozone  
7 mitigation.

8 MR. TURNER: Yes. There was a couple of states that were  
9 actually looking at regulations for it and they were trying to  
10 figure out what they needed to do to come up with new  
11 regulations for the one hour standards. I think it was one of  
12 the eastern states, Jeanne.

13 MS. SWARTZ: That would have been Rebecca.

14 MR. TURNER: Rebecca, was it Kansas that was looking at  
15 them?

16 MS. SMITH: I'm trying to remember. I think Ohio is  
17 starting to look at stuff because of some changes that are  
18 happening. And I think the Kansas guy said they were going to  
19 start looking at stuff because of the 43-460 quad O stuff which  
20 was changing some of the other requirements as well. But  
21 there's a lot of we'll be looking at things in the future kind  
22 of statements for what I took on. But they weren't -- they  
23 hadn't noticed any problems with the one hour study yet, but  
24 they also, you know, weren't looking particularly at the  
25 emissions coming out of the drill rigs yet.

1 MR. TURNER: Thank you. So to answer the question, states  
2 are trying to figure it out just like we started to because  
3 they're brand new. They're trying to figure out who are they  
4 hitting, where are they going to deal with them, how they're  
5 going to deal with them, but they're starting to look at it. I  
6 mean -- you know, I mean that's one of the things is it's like  
7 they're looking at it, they're seeing increasing regulations  
8 from EPA and how do they deal with it.

9 MR. THOMAS: Are you talking generally? You're not  
10 talking about rigs -- drill rigs specifically, you're talking  
11 just generally one hour.

12 UNIDENTIFIED FEMALE: Oil and gas.

13 MR. TURNER: In general.

14 MR. THOMAS: There's no doubt that the one hour NO2  
15 standard is generally a big issue among all the states, but in  
16 context that we made -- and Todd over here against the wall did  
17 most of the work, almost all the work. We didn't hear any  
18 concerns raised about, you know, connecting drill rigs to the  
19 one hour NO2. It was -- you know, the one hour NO2 thing is  
20 more of a general issue.

21 MS. EDWARDS: Okay. Thanks.

22 MR. THOMAS: Other questions?

23 MR. KANADY: Well, this is Randy Kanady with  
24 ConocoPhillips and I know Brad and the industry put a lot of  
25 effort into this presentation. I'd just like to recognize the

1 amount of effort that went into these presentations and to thank  
2 everybody that was involved with putting this together because  
3 it was truly a significant amount of effort.

4 MS. EDWARDS: Absolutely. I know everybody worked hard to  
5 pull this information together in the amount of time that we had  
6 so that -- it is very much appreciated. So how do you want to  
7 proceed? You guys want to talk about this a little bit more?  
8 Gordon.

9 MR. BROWER: Well, you know, I'm still trying to grasp  
10 some of the permitting requirements and looking at the  
11 presentations and large populated areas and -- versus areas like  
12 Alaska where it's vast. And trying to understand the permitting  
13 climate in some of these different countries, these different  
14 states and seeing so much no and what's the major difference  
15 that we see different than they do? Do we see a problem that we  
16 have to make the climate very stringent or do they see that --  
17 the national, the EPA standard is met by trial and then they  
18 have some sort of certificate that proves that these rigs work  
19 in this fashion and you have that you don't need to worry about  
20 the standard?

21 MR. THOMAS: If I can take a stab at that, Gordon. I  
22 think what Alaska did, and justifiably so, is they became aware  
23 of modeling information that indicated it's an issue that needed  
24 to be addressed. And the modeling was specifically, you know,  
25 around mobile equipment that other states I think largely don't

1 pay attention to. So in the other states we don't find drill  
2 rig permitting activity because the other states, you know,  
3 don't have information that there's an issue, probably didn't  
4 look for it, but Alaska became aware of something and just  
5 attempted to address it. It turns out it's a -- you know, speak  
6 for me, it appeared to be a modeling issue, not necessarily a  
7 real measured issue, but a virtual one, if you will.

8 MR. BROWER: Yeah, I think it's important to try to  
9 understand what's -- all the dynamics in different areas, in  
10 different part of our country here, and try to get the right  
11 mold that works up here. Because I look at -- the numbers are  
12 so high in different areas. If you're looking at same  
13 horsepower, same engine and the only difference is probably  
14 heating in the -- in a pipe rack area so some people can work in  
15 there. And some of the heating that's necessary to accomplish  
16 that and calling them a permanent source within a temporary  
17 drilling operation, I think it's a matter of interpretation  
18 there as well that needs to get more defined in -- I don't know  
19 if we're hindering ourselves. I mean I could see a system where  
20 you basically certify maybe with some other requirements, you  
21 know, for them extensive catalytic emission controls and say if  
22 you go that route, you know, you're certified for the next five  
23 years or so versus if you're managing an old rig you got to be  
24 monitored.

25 MS. EDWARDS: Go ahead, Mike.

1           MR. MUNGER: This is Mike Munger. Could the State of  
2 Alaska not go through their permitting the way it's currently  
3 set up and still meet the EPA requirements? Because as we look  
4 at this, you know, and then they don't have a permitting program  
5 but they're obviously meeting federal standards is the state  
6 requirements over and above the Clean Air Act currently?

7           MR. KUTERBACH: This is John. Technically no because the  
8 Clean Air Act is a model of federalism where EPA sets the target  
9 and the state develops the plan to reach that target. What the  
10 Clean Air Act requires is that we be able to develop a plan  
11 which has emission limitations and other measures, such as  
12 permits, to ensure compliance with the ambient air quality  
13 standards. So our current program does that. It's been  
14 approved by EPA and therefore it meets the federal requirements.  
15 Now if you're asking could we adopt a different program that is  
16 less stringent and still meets those requirements, that is  
17 possible. All right? That's only limited by our creativity and  
18 what we can prove to EPA that our plan still achieves the  
19 result. But it's not -- it's really within our hands to ensure  
20 that our air quality is protected and so what we do isn't --  
21 it's not in EPA's hands, so it's not EPA saying you don't have  
22 to regulate drill rigs. They never say anything like that. Or  
23 you can't regulate drilling operations. They don't say that.  
24 They say states, decide what your biggest emission problems are  
25 and make sure that you don't get an ambient air quality

1 violation, regulate them how you will. With the sit -- the  
2 require -- the only requirement that we have specifically from  
3 EPA's Clean Air Act, and I guess there are a couple. One is we  
4 have to be -- have the ability within our program to identify  
5 and prevent the construction of any source that's going to  
6 violate ambient air quality standards. That's where our minor  
7 permit program authority comes from. We require that permit to  
8 make sure that nothing's going to get installed, established or  
9 built that'll violate ambient air quality standards. The other  
10 requirement that we have that may affect this is for Title 5  
11 permits for major stationary sources. Now those are not the  
12 drill rigs. Those are the gathering centers and their  
13 associated locations are the Title 5 sources. Per the Clean Air  
14 Act our permits, our Title 5 permits for that source must  
15 include all applicable requirements for the operations that go  
16 on at that source. If a drilling operation comes in and  
17 operates on that source and has equipment that has applicable  
18 requirements, for instance a boiler or heater that needs to meet  
19 a federal requirement, then the Title 5 permit must include that  
20 requirement, must ensure compliance with that requirement. Does  
21 it have to be a permit for the drill rig? No. It could be a  
22 permit for the stationary source that says when you have a drill  
23 rig that has these require -- they have to meet the requirements  
24 that are applicable to them. You could put that in each permit  
25 -- permitted source's permit and the drill rigs themselves would

1 not have a permit. The producers for their own reasons have  
2 chosen to use -- to permit the drill rig so that they could move  
3 on to any source rather than have each source's permit have that  
4 alternate operating scenario within it which is why we have  
5 that. So those are the two federal requirements, the minor  
6 permit which is part of our means of protecting ambient air  
7 quality from the construction and establishment of new sources  
8 and the Title 5 requirement that we have all applicable  
9 requirements in the operating permit for those stationary  
10 sources. To change this, if we decide that we don't want to  
11 regulate the drill rigs through this mechanism, all right, and  
12 we don't believe that they'll cause an ambient air quality  
13 violation we don't have to. What we have to do though is when  
14 we revise our program is demonstrate to EPA that that -- that  
15 the change that we make is not going to allow ambient air  
16 quality violations to occur.

17 UNIDENTIFIED MALE: And how would you.....

18 MR. BROWER: Can I just make a comment on that?

19 MR. KUTERBACH: Sure.

20 MR. BROWER: Just what you're describing seems to be that  
21 it would be more beneficial to the drill rig operator. If he's  
22 got expiration activities to conduct and he gets a job to do  
23 that that he's able to move at will to do these things the  
24 current running gathering center that's funneling, it's a  
25 feeder. It's a -- these flow stations, gathering centers, they

1 feed into areas already been developed and they really  
2 periodically get these work over rigs out there to, you know,  
3 clean out the paraffin and anything else like that. But it  
4 seems to me going that way, and maybe an operator needs to chime  
5 in here to discuss a little bit about it, having that permit for  
6 flow station one and being able to operate the next 10 years  
7 without having a drill rig in the area to bother it, I think it  
8 would be a minor reveal to add an increment that may be in their  
9 area to -- so that they're not over their thresholds. I don't  
10 know if I'm conveying that very well, but I think maybe the  
11 industry needs to chime in here in being able to recognize that.  
12 And I'm just a firm believer sometimes you look at things. I  
13 look at how borough operates things in our own permitting  
14 scheme, in our own -- you know, we basically have a -- one area  
15 to do basically all of our permitting. It's pretty much  
16 expedited except for change in land status from -- to resource  
17 development. That's an act of the assembly to do those kinds of  
18 things. But, you know, we're very predictable permitting  
19 climate.

20 MR. THOMAS: If I -- I'll chime in, Gordon. This is Brad  
21 Thomas. The stationary source is the flow stations, the  
22 gathering centers, the central processing facilities. Those are  
23 very tightly regulated. That program is fixed in place and not  
24 one that this group is working to address, I mean though there  
25 are issues that are going to come up soon. So focusing only on

1 the drill rigs and the drill rig activity speaking as an  
2 industry what we seek is the ability to flexibly use drill rigs,  
3 move them where they need to go when they need to go there,  
4 providing the state the assurance that the ambient air quality  
5 standards are protected. So on that latter piece there's  
6 various ways to do that. It doesn't have to be in a permitting  
7 program. In fact we prefer it not be in a permitting program,  
8 but we just -- that's the end goal here, to make sure that the  
9 rigs can go where they need to go when they need to go giving  
10 the state the assurance that the air quality standards are  
11 protected.

12 MR. BROWER: All right. And I think I was trying to  
13 convey that that way. I'm not trying to focus on flow station  
14 permitting and everything, but they have their own standalone  
15 permits that do those things. But what I'm hearing is that that  
16 permit needs to be protected maybe from an increment or some  
17 other source that violates its space or whatever. Having a  
18 system where -- I don't know if I'm just -- these are just my  
19 own -- I think they're my own opinion that it seems like it can  
20 be within the law by -- you look at a drill rig and make it do  
21 certain things. If it needs be, maybe advanced equipment,  
22 catalytic converter type stuff, and say you meet this you got a  
23 certification that your next review is in five years or  
24 something like that. And then you use that and you're able to  
25 at will get your contracts and be mobile at will.

1           MR. BARRON: That's a good -- good things to think about,  
2 Gordon, and let me ask a -- maybe stepping back even a little  
3 bit further. When we talk about protection of ambient air, when  
4 we talk about -- you know, as has been presented, the lack of  
5 density of equipment in that area, is there a way that we can  
6 establish a monitoring program that has, for lack of a better  
7 term, thresholds of quality that if it -- and, you know, have a  
8 green zone, an amber zone, a red zone that if we're always in  
9 the green or not cautionary zones then no permits are required  
10 or something to -- very far to the -- to one side of the  
11 spectrum that as we approach, you know, the ambient air quality  
12 standard thresholds that then we turn around as the industry and  
13 the state and say okay, we've got an issue here. The density  
14 has increased so much or the activity has increased so much that  
15 we're now approaching the threshold. We together have got to do  
16 something different, but we're always constantly monitoring over  
17 that wide area from say Barrow to Point Thompson and say this is  
18 our fetch basin, this is our area of concern, and establish  
19 those benchmarks and then establish when we're going to put in  
20 other criteria for monitoring or equipment modifications or  
21 activity limitations or whatever they might be. But is that  
22 something that would fit within the pretext of a state program  
23 that would satisfy the EPA? Is that something we could maybe  
24 work on or is that so far off to the edge that we can't do it?

25           MR. THOMAS: Be complicated. It would be complicated.

1 MR. BARRON: But then as -- you're basing it on real data  
2 though.

3 MR. THOMAS: Not -- Brad Thomas speaking. If you're  
4 talking about a monitoring network the results of which the data  
5 generated of which is used as information to do something  
6 different than what we're doing now, yeah, that's -- that might  
7 be simple, but setting those thresholds of activity that could  
8 get complicated.

9 MR. BARRON: Well, it -- you know, it may not be the level  
10 of activity, but it might -- the tripwire is when you reach a  
11 certain level of air contamination that you say we got to do  
12 something. Because right now we're doing something and we don't  
13 necessarily know should we or shouldn't we. I mean we might  
14 have to. I'm not saying that it's right or wrong. I'm just  
15 saying right now the data would indicate -- the lack of data or  
16 the data that we've got would indicate we're okay, but we've  
17 already done something. I'm just trying to ask the question is,  
18 is there a way to set a standard program that when we do get to  
19 a certain point then we take an action rather than take an  
20 action before we reach the event.

21 MR. THOMAS: Yeah. It could be done.

22 MR. BARRON: Because we're -- from -- if you look at the  
23 profiles from the states that you showed one would present that  
24 it would have to be a robust development -- you know, a whole  
25 new level of excitement on the North Slope, shale, something, to

1 create the density population of rigs on the Slope that is  
2 currently existing in other areas. So, you know, I'm looking at  
3 it, you know, we would have to be exponentially greater activity  
4 than we are today to ever get to that point.

5 MR. THOMAS: Right.

6 MR. KUTERBACH: Well, yeah. This is John. I mean let's  
7 be clear so we understand the information that Brad presented.  
8 What we're looking at there is regional monitoring, not the  
9 individual rig monitoring.

10 MR. BARRON: Right, I understand. Right.

11 MR. KUTERBACH: All right. And so you're right. I think  
12 that shows that as a regional problem drill rigs by themselves  
13 are not perceived as the major contributor that needs to be  
14 regulated in those areas. Okay? They have other sources that  
15 they think are the more -- well, maybe with the exception of the  
16 Wyoming example, that they're dealing with other sources of  
17 emissions first. And who knows 20, 30 years down the road if  
18 they still have problems maybe they have to get down to smaller  
19 levels of sources like California does to get to the final  
20 result.

21 MR. BARRON: Right, right.

22 MR. KUTERBACH: And so you're right, as a regional thing  
23 there isn't a problem. The only thing that we haven't really  
24 explored in detail is the short-term standards because those are  
25 going to be not -- they're not really a regional thing. I think

1 EPA bases most of their monitoring right now on heavily traveled  
2 corridors where they get a lot of emissions. Basically they're  
3 tracking the emissions as to where they're putting the monitors  
4 for that. And so it's possible that we can monitor -- have a  
5 monitoring network that shows regionally we're okay. That  
6 doesn't mean we don't have hotspots here and there that we just  
7 don't know about. And if we're okay with that, you know, and it  
8 passes the Clean Air Act that's fine. If we're okay with having  
9 the possibility of hotspots that we don't know about then a  
10 monitoring.....

11 MR. BARRON: Right.

12 MR. KUTERBACH: .....network would do it.

13 MR. BARRON: But it seems to me like if we've got hotspots  
14 that we don't know about it would be nice to know about them and  
15 then do something about those hotspots rather than assume that  
16 each individual rig is its own hotspot and doing something about  
17 it.

18 MR. KUTERBACH: Okay.

19 MR. BARRON: I mean because, again, we're talking, you  
20 know, a regional area.

21 MR. KUTERBACH: Huh-hum (interrogative).

22 MR. BARRON: I mean I think that's -- I think as I'm  
23 absorbing this information it is much more -- we looked at the  
24 ozone maps. Those are county basis.

25 MR. KUTERBACH: Huh-hum (interrogative).

1           MR. BARRON: Right? I mean that's kind of a regional  
2 description of an issue.

3           MR. KUTERBACH: Right.

4           MR. BARRON: And I'm not suggesting that we take all of  
5 North Slope Borough as the region. I'm saying we need to carve  
6 it up to a little bit smaller and still be, you know, in spirit  
7 the right directionality and then work the problem based on real  
8 data. I mean I appreciate the one hour thing. I don't -- you  
9 know, that's a hurdle yet to be jumped. I'm just trying to get  
10 a concept of directionality of how do we as a team figure out a  
11 way to manage a greater area with real data that is defensible.

12           MR. KUTERBACH: I -- and I guess I agree with you. I  
13 think that's what we -- that is a good goal for us to do. This  
14 is John again for everybody who needs to know me. The only  
15 question I would have is how do you get the granularity to be  
16 able to identify any hotspots. How can you -- what -- how  
17 extensive does this monitoring network need to be? Maybe you  
18 need a saturation study to start off with and then back if off  
19 to -- you know, there's a lot of technical issues that go into  
20 that.

21           MR. BARRON: No, I -- yeah, this is Bill. I agree. I  
22 mean that's kind of the devil in the details, but I think --  
23 again, I'm trying to get a concept flushed out in my mind and  
24 just for the committee to think about. But it could be -- I  
25 mean we could take that on or the industry and ADEC could take

1 that on as an opportunity to really fine tune what the issues  
2 are and then come together with, okay, this is what we together  
3 really have identified as areas that need to be addressed. Or  
4 these are areas where we're not going to bring equipment in for  
5 a period of time until the ambient air is back to normal. Or,  
6 you know, put up exclusion zones if you find it, but you got to  
7 know what you got and right now I get the sense that we don't  
8 know what we've got and that's a -- that to me is a problem. So  
9 we're regulating or establishing permits and regulations on  
10 stuff that we think might be there or modeling data that shows  
11 that it's there, but it's not necessarily proven that it's  
12 there. So I'm just trying to think a bit more broadly from  
13 Barrow to Point Thompson and say how do you map out, how do you  
14 grid out a system that would be acceptable and then if you do  
15 get some hotspots fine grid that and see where your problem is.  
16 I mean, again, it's -- this is a long-term kind of dialogue, not  
17 something to solve today. If it gets us more data -- and I'm --  
18 now I'm thinking about, you know, the inlet and how would we do  
19 that with some of the inlet operations or do we have those same  
20 kind of issues in the inlet. I know -- I mean so I'm trying to  
21 think broadly on the state and I keep glancing at Mike and the  
22 Hilcorp team. Because again, that's -- that directionality is  
23 if we do it one area does that same concept fit in another area.

24 UNIDENTIFIED MALE: Right.

25 MR. MUNGER: I'm going to ask -- state this. Do you feel

1 -- and all you can do is render an opinion because I don't  
2 believe that it'd be anything but at this particular time. That  
3 the only reason that they don't specifically have requirements  
4 for the rig use is because they got bigger fish to fry? Just  
5 want an opinion.

6 MS. EDWARDS: Perhaps. Perhaps.

7 MR. KUTERBACH: I think that's one of the elements for  
8 sure.

9 MS. EDWARDS: I think -- I don't think it's everything and  
10 I think the areas where you're seeing more interest in looking  
11 -- they're not looking just at drill rig activity, they're also  
12 looking at production as well, is where you've seen sort of  
13 almost explosive growth in drilling and then subsequent  
14 production. Those states, like the Rocky Mountain west and, you  
15 know, some of the places in the east you're starting to see more  
16 awareness on the part of the air quality folks where just by the  
17 nature of not having programs as things have become more -- as  
18 there have been more and more drilling coming in, more and more  
19 production going into play that they're starting to worry about  
20 the sort of larger -- large source now for them, maybe, you  
21 know, a collection of smaller sources that are now a large  
22 source to them in the overall scheme of things, particularly  
23 with their ozone non-attainment areas and things like that where  
24 they've been working on ozone for many, many years and have --  
25 and you start to get an aggregation of a lot of sources. I

1 think that's why you're starting to see some of these other  
2 states that are sort of looking at different options for how to  
3 deal with that kind of sort of larger scale production of oil  
4 and gas that's happening and it's happened over a number of  
5 years, but it's happened quickly in a lot of these areas.  
6 Whereas we've sort of historically, as Brad said, have sort of a  
7 more consistent oil and gas production scenario going on here.  
8 Which doesn't mean that we couldn't have areas where we would  
9 see maybe more developing coming, you know, with more drilling  
10 that's maybe -- and more production that's maybe more like the  
11 Rocky Mountain west, but right now it's not what we have at play  
12 up here. But I think that -- yeah, I think some of it is that  
13 they've had bigger fish to fry. Usually, you know, these non-  
14 attainment areas, as we discussed, historically have been in  
15 major metropolitan areas, so they've worked on all those  
16 sources. And that typically hasn't necessarily been oil and gas  
17 development. Most major metropolitan areas don't have a lot of  
18 oil and gas development inside their boundaries. But now as  
19 they're continuing to work through things and they're getting a  
20 lot of sources surrounding their population centers or their  
21 population centers are growing out into those areas they're  
22 probably having to look at it a little bit more. But I mean  
23 they're all going to evolve differently and I think the reason  
24 for that is what John said which is that the Clean Air Act gives  
25 states the opportunity to craft something that makes sense for

1 their situation and I think perhaps historically we triggered on  
2 this earlier in our -- as a result of our existing permitting  
3 program and things that came along early on we triggered on this  
4 piece early. And so we just -- our approach was to pull it into  
5 the permit program, but it doesn't mean it has to be that way.  
6 I mean we have some flexibility as to how we approach it as long  
7 as we can meet those requirements that John was talking about  
8 earlier.

9 MR. MUNGER: I may be going out on a limb here. This is  
10 Mike again. But, you know, we have an average rig count of nine  
11 rigs operating in Alaska and I come from a regulatory  
12 background, but I can't help but question how big a problem we  
13 really are looking at here. And then, if I'm not mistaken,  
14 currently our permitting program is based on modeling. Is that  
15 correct?

16 MS. EDWARDS: Primarily. There's some background  
17 monitoring with that too, but.....

18 MR. MUNGER: Primarily monitoring.

19 MS. EDWARDS: .....but primarily we do modeling for  
20 demonstrations.

21 MR. MUNGER: Was that the -- I would assume this, but was  
22 that merely a state decision or was that what industry agreed to  
23 or, you know, what.....

24 MR. KUTERBACH: Well, you know.....

25 MR. MUNGER: You know, was that just.....

1 MR. KUTERBACH: . . . .the way -- the reason why -- this is  
2 John. The reason why modeling is fundamental to the permitting  
3 is because you can't monitor something that hasn't been built  
4 yet. So if you're going to prevent it from being built and  
5 violating ambient air quality you have to predict what it's  
6 going to be when it's finally built. Okay? So that's why  
7 modeling comes into the picture is because you're doing a  
8 prediction. Now it gets muddled when you're talking about  
9 something that has been built, but now is moving to a new area.  
10 Is it going to have the same impact that it had in the old area?  
11 Well, that depends on your weather. Does the wind blow as hard?  
12 Does it blow the same direction? Is it lined up the same way?  
13 And so to predict whether or not it's going to violate in the  
14 new location, again, modeling is used so that we can prevent the  
15 construction of something that's going to violate ambient air  
16 quality standards.

17 MR. BROWER: I just want to make maybe a -- the same kind  
18 of observation here. And the same criteria that you mentioned  
19 in -- as the type of major concerns that the state sees and  
20 needs to take a hold of managing that and making sure that that  
21 source is in compliance. And I just have the same kind of  
22 concern that the density in the drill rig in comparison to other  
23 states and -- it kind of leads to suggest that there wasn't a  
24 problem in here to begin with and then to go with the most  
25 restrictive way of managing it. That's what I kind of see, that

1 there could be -- like we were discussing other ways where it's  
2 not a big major issue, major source on the -- in the state and a  
3 less review process, that scale keeps it -- that we know that  
4 it's within the national standards. And maybe the longer term  
5 picture that Bill was talking about, that would -- developed as  
6 a longer term picture of these areas. I think there's ways to  
7 put two and two together and ways to de-muddle the system.

8 MR. BARRON: Yeah, I agree with that. I -- and I think,  
9 John, you've kind of hit on the point that kind of gives me the  
10 biggest -- the greatest concern and pause is your last  
11 description, is something that could be allowed to be used in  
12 one area, but then moved down the road and not used in another  
13 area and nothing's changed with the piece of equipment. That  
14 tends to really be a problem in my mind if that's the way our  
15 program is working.

16 MR. KUTERBACH: Bill, I'm -- I don't quite understand  
17 that. If you have something that is -- well, let's go  
18 completely away from this to kind of get my thought. If you  
19 have a trash incinerator that you have mounted on a truck and  
20 you're operating it 100 miles away from where anybody lives and  
21 then -- and you allow that. It's permitted, it's the same piece  
22 of equipment. You move that same piece of equipment into your  
23 neighborhood, into your neighbor's driveway. I think I would  
24 want more requirements on it if it moved into another location  
25 like that. The idea isn't that the -- we're permitting the

1 piece of equipment. The idea from the permitting program is  
2 that we're permitting its effect on the ambient air quality.  
3 And if -- and the effect on the ambient air quality has the  
4 equipment as part of it, but also the weather is part of it. If  
5 you operate in a place that's windy all the time, all right, and  
6 that weather blows the pollution away you can get by with  
7 putting out more pollution than you can in a place that's fairly  
8 calm all the time because the pollution will build up. So it  
9 has to vary from area to area.

10 MR. BARRON: Well, no. John, I appreciate that, but when  
11 we're talking -- let's bring it back to the context that we've  
12 got.

13 MR. KUTERBACH: Okay.

14 MR. BARRON: Talking about mobile drilling equipment in  
15 between Barrow and Point Thompson.

16 MR. KUTERBACH: Okay.

17 MR. MUNGER: Cook Inlet.

18 MR. BARRON: Or Cook Inlet. I mean, you know, those --  
19 you know, given that that confined area, as broad as it might  
20 be, I mean, you know, with the comment that you made and where  
21 my perspective is on I'm moving a drilling rig from one location  
22 to another.

23 MR. KUTERBACH: Huh-hum (interrogative).

24 MR. BARRON: You know, that was in -- that's how I took  
25 your comment. You know, not an incinerator that's working, you

1 know, out near Willow and then being brought into the city of  
2 Anchorage. I mean that -- you know, between two buildings where  
3 there's no air movement.

4 UNIDENTIFIED MALE: Sure.

5 MR. BARRON: I mean that's different.

6 MR. KUTERBACH: Well, let me ask you a question. Does DNR  
7 regulate oil and gas drilling?

8 MR. BARRON: The drilling activities?

9 MR. KUTERBACH: Do -- yeah, do you regulate any of that?

10 MR. BARRON: We regulate some of that.

11 MR. KUTERBACH: Okay.

12 MR. BARRON: Not necessarily all of it.

13 MR. KUTERBACH: Okay. And are the requirements the same  
14 everywhere?

15 MR. BARRON: Pretty much.

16 MR. KUTERBACH: Pretty much or exactly the same? You move  
17 that -- that drilling rig was used over here, it had these  
18 requirements. I'm going to move it over to a different  
19 place.....

20 MR. BARRON: Oh, from that.....

21 MR. KUTERBACH: .....on the Slope that's going to have the  
22 exact same requirements.

23 MR. BARRON: .....from that perspective they are the same.

24 MR. KUTERBACH: Exactly the same.

25 MR. BARRON: To my knowledge.

1 MR. KUTERBACH: Okay.

2 MR. BROWER: Can I add something to this? DNR and others  
3 may -- and depending on jurisdictional boundaries that I've, you  
4 know, been aware of on the North Slope different -- DNR will  
5 permit, the borrower will permit. If you're talking about  
6 already been permitted by DNR and then you need to move this  
7 drill rig five miles outside of Barrow or somewhere where  
8 there's more population our own local zoning ordinances add onto  
9 the review to where you must not interfere with a local ped  
10 traffic, subsistence, transportation, noise, nuisance, smoke and  
11 they're forced to meet these guidelines on top of what other  
12 permitting requirement that the state or federal government.  
13 Not every -- it's not like that everywhere I don't think. Maybe  
14 Kenai or some other may have their own zoning ordinances that  
15 say, well, you want to put that drill rig in this neighborhood,  
16 this is what you got to do and plus your neighbors over here are  
17 going to comment, it might be a village comment thing, and then  
18 more rules are applied. So there's a combination of different  
19 things that play together to make a successful operation and I  
20 think the state should have the -- this is how you're going to  
21 operate anywhere you need to go. And where you go into a  
22 borough with that permit you still have to seek local permits  
23 from a local government which.....

24 UNIDENTIFIED MALE: Well.....

25 MR. BROWER: .....you got this, that works, on top of

1 doing that you need to do this. And we've seen that work time  
2 and time again and to try to balance between the conflicting  
3 uses of land and -- so. I think there's -- that part of it is  
4 not always talked about as much in terms of what your  
5 requirements are and when you got to move it around to different  
6 parts of the state.

7 MR. KUTERBACH: Well, cer -- this is John. I feel like  
8 I'm -- certainly we can develop a one -- you know, one size fits  
9 all permit and base it on the most stringent requirements that'd  
10 be necessary for wherever it operates and then everybody has to  
11 live with them and we just eliminate the flexibility that we  
12 give to areas that need less requirements. They have to comply  
13 with the most stringent wherever it's allowed to operate.  
14 That's -- that works.

15 MS. EDWARDS: That would be another option as a solution.  
16 You know, and that's -- and I think -- I mean, Gordon, you make  
17 some good points and not all areas of the state have zoning, but  
18 zoning's part of how things get placed. And I think when we  
19 look at air quality standards, I mean we often end up permitting  
20 facilities -- not facility drill rigs, but we'll end up  
21 permitting facilities that maybe people don't want to have near  
22 their subdivision. But from an air quality perspective it  
23 demonstrates that it meets the ambient air quality standards and  
24 that's the piece that we do and then the zoning piece is the  
25 other piece. If they don't have the zoning then that's

1 something that's handled more -- you know, at a more local  
2 level. But if we want to move per -- if we want to be able to  
3 move a drill rig anywhere and we can't take into account the  
4 specifics of the location which is difficult to do in air  
5 quality because air sheds are different, you know, I mean  
6 boundaries are different. Weather's different in different  
7 places. Some places are windier, some places are calmer. So if  
8 we want to have a one size fits all permit then you have to look  
9 at sort of the conservative -- I think you'd have to look  
10 conservatively to try and figure out what would that  
11 configuration of equipment need to look like or controls need to  
12 look like or -- in order to craft what that would look like and  
13 that is an -- I mean that would be an option. I mean it's  
14 another option. But it would reduce the -- it would likely  
15 reduce the flexibility that exists in a more case specific  
16 permitting kind of a requirement where you could look at a  
17 specific location and say okay, if we're out in this area in  
18 this situation with this equipment seems like this configuration  
19 will be okay, but if you moved it closer to a village or it's  
20 now -- you know, now there's a village downwind or there's  
21 something else going on then we might have an issue that, you  
22 know, we haven't addressed, so we'd lose some of that  
23 flexibility. So I mean it's just another way of looking at it.

24 MR. BARRON: Oh, yeah. Yeah, this is Bill. I think,  
25 again, the -- where part of my entire, you know, directionality

1 from what I'm hearing and picking up is more let's establish  
2 what our problem is rather than -- I mean if -- do we even have  
3 a problem. Have we established -- to Gordon's point, have we --  
4 and to Mike's point, have we entered into something prematurely  
5 at our own accord rather than understanding what the problem is  
6 in a geographic area and then tried to resolve it as we approach  
7 limits rather than, you know, what we've got today. That's kind  
8 of where I'm trying to understand. And then if we are  
9 approaching those limits then we do something.

10 MS. LONGAN: Can I ask a question? I know that DEC is  
11 currently working in a different program, it's the discharge  
12 program, APDS program, and we can understand -- this is Sara  
13 Longan by the way. Sorry. We can understand that that's vastly  
14 different, but one thing that is similar is that EP -- excuse  
15 me, DEC administers the APDS program and that's -- it's a -- all  
16 authority delegated from EPA. So they're trying to get a  
17 general permit for discharges in the Cook Inlet and I think that  
18 they've learned a lot in that experience and that it's not the  
19 same throughout. There's different currents. There's different  
20 water quality criteria, temperature, depth. There's a lot of  
21 factors to play into it, but they are still able to issue these  
22 general permits that operators meeting that criteria can fall  
23 into in sort of a more general way instead of having to go  
24 through an individual permitting process for a project and case  
25 specific example. And I just don't know if there's any way that

1 the air program could look towards possibly considering a  
2 general permit approach.

3 MR. KUTERBACH: We already have general permits.....

4 MS. EDWARDS: We do have a general permit.

5 MR. KUTERBACH: .....for oil drilling.

6 MS. EDWARDS: For oil drilling.

7 MS. LONGAN: So then -- and I'm aware of that, but are  
8 some of these issues that we're talking about -- we're talking  
9 about using mobile rigs for drilling, how is that not captured  
10 more under a general permit way?

11 MR. KUTERBACH: It is, it is. The -- but the requirements  
12 where the general permit could be used are defined within the  
13 general permit.

14 MS. KAUFMAN: It's just a limited geographic area. So  
15 it's not applicable offshore. It's not applicable at  
16 (indiscernible) or I don't believe on the North Slope.

17 MR. TURNER: Please identify yourself.

18 MS. KAUFMAN: This is Kate Kaufman. Sorry.

19 MS. EDWARDS: So the general permit we have was built  
20 around a specific -- it's sort of what we just talked about.  
21 It's built around a specific set of conditions and under those  
22 conditions you can just apply for the general permit and be done  
23 with it, but you have to operate under those conditions. And  
24 so.....

25 MR. KUTERBACH: And -- this is John. Brad, you've

1 operated -- you have things operating under the general permit.

2 Does it work for you?

3 MR. THOMAS: Up to now it has. It's -- the problem is the  
4 permitting program and the mechanics of the permitting program  
5 today. Up to 2010.....

6 MR. KUTERBACH: So there's been -- are there problems with  
7 the general permitting process now?

8 MR. THOMAS: Well, I'm going on the basis that the general  
9 permit's going to have to be revised to reflect the new ambient  
10 air quality standards. And if that's -- when it gets to that  
11 point, yes, there will be. But now with the general permit as  
12 it has been for the last several years, not taking into account  
13 these new ambient air quality standards, no, it hasn't been a  
14 problem. But we'll -- so it's the mechanics of a permit program  
15 and the permit program itself that's at issue. And I go back to  
16 what Bill brought up, let's define, you know, the scope of the  
17 problem here. Do we -- let's not engage in a permitting program  
18 unless we have a problem to make go away. And the ambient data  
19 I've seen I have not seen any exceedences of any ambient air  
20 quality data and the air quality standards. So I'm not  
21 convinced that there's a problem requiring the regulations  
22 regarding the permit program.

23 MR. KUTERBACH: So if I were to look at that I'd say our  
24 program's working.

25 MS. CASTANO: Well, and to add to that. This is Alejandra

1 again with AOGA. To add to that by saying, you know, we may not  
2 need a permitting program. We're also not suggesting that this  
3 would remain -- this would make drill rigs and the engines on  
4 them completely unregulated. I mean let's not forget what we've  
5 had the discussions on before about the NSPSs and other federal  
6 regulations that are already on top of these. So we're not  
7 saying a zero or 100 approach. I mean there wouldn't be no  
8 regulations at all. We're not suggesting that.

9 MR. THOMAS: Just a -- this is Brad Thomas. Point of  
10 order. It's 3:00 o'clock.

11 MS. EDWARDS: I know, it's 3:00 o'clock. I was going to  
12 say the same thing. So I didn't want to cut off the discussion  
13 prematurely either, but it is 3:00 o'clock and if the group is  
14 amenable we could take our break and come back in about 15  
15 minutes.

16 (Off record at 3:01 p.m.)

17 (On record at 3:17 p.m.)

18 THE REPORTER: On the record at 3:17.

19 MS. EDWARDS: Great, thanks. So before we move into the  
20 next agenda item I wanted to just kind of repeat some of the  
21 things -- the ideas I heard and see if -- I may not get the  
22 phrases quite perfectly, but I heard a couple of ideas that we  
23 might want to think about as a group and explore some more. One  
24 was Gordon had an idea where he -- we talked about, well, maybe  
25 there's a configuration if you have a certain kind of a

1 configuration for your rig you could be certified and you could  
2 move around at will which to me is sort of like, okay, can we --  
3 and that kind of feeds into this concept of is there a general  
4 permit or categories of general permits that maybe we could do  
5 that might be -- provide some more flexibility. You know, if  
6 you had a certain configuration you could move the rig around.  
7 That kind of goes into I think sort of a general permit kind of  
8 an idea or a registration or some sort of a, you know, permit-  
9 by-rule kind of thing.

10           The other thing I heard was the idea of establishing some  
11 sort of a more robust monitoring program to really get a handle  
12 on what are the concentrations out there, whether we really do  
13 have issues with any of the standards or we would have to think  
14 about which pollutants that we would want to monitor, but more  
15 robust monitoring network with the idea of having thresholds  
16 that would then trigger some sort of other requirements or  
17 actions to be taken was another idea I heard. The idea of  
18 having if you had more advanced controls on a rig, for example,  
19 maybe you got more flexibility to move it around more. I think  
20 those were sort of the -- some of the newer ideas I heard come  
21 out of the last discussion. Did I miss anything from your  
22 perspectives?

23           UNIDENTIFIED MALE: You got them from what I was thinking.

24           MS. EDWARDS: Which might be some other options that we  
25 could explore in addition to the kinds of things we've already

1 talked about. So the next agenda item we had was to get sort of  
2 a overview -- more of an overview about Alaska drilling and I --  
3 Brad and Alejandra were going to give us a presentation on that,  
4 so I'll turn it over to you guys.

5 MR. THOMAS: So Jeanne, if you go to the last one there.  
6 There you go. So we put together these 14 or 15 slides on  
7 drilling activities in the state. And what I'll do is I'll go  
8 over the information we've got for the North Slope and turn it  
9 over to Kate to cover what happens in Cook Inlet.

10 So the first slide is, again, from Baker-Hughes. It's the  
11 drill rig activity in the state going back to 1968. The red  
12 line is the offshore rigs. So you can see that that's -- the  
13 most activity there is back in the late '60s with the Cook Inlet  
14 development. The blue line is rig -- the land rigs and the  
15 green line of course is the sum total.

16 So since about 1986, '87 you can see that the rig  
17 activity's been pretty stable. The developments haven't been on  
18 the scale of Prudhoe Bay and Kuparuk on the North Slope. So if  
19 you go back to the years between '74 and '86 that's when you get  
20 into Prudhoe Bay, Kuparuk development. So there was more  
21 activity. Any given week the maximum rig count was less than  
22 40. So we're still way down low on the scale even with those  
23 big developments. We're down low on the scale compared to the  
24 rest of the U.S. with our maximums. But again, since '87 the  
25 average has been about nine per week with some fluctuation, but

1 not a lot.

2 MR. MUNGER: And you said currently -- I believe you said  
3 currently we're running about 12.

4 MR. THOMAS: That was on that one week, yeah, 12.

5 MR. MUNGER: Okay.

6 MR. THOMAS: Yeah. So that nine is an average over the  
7 entire 22 years, but that -- again it varies from week to week.

8 MR. MUNGER: And your high was 30 -- about 38 back in the  
9 '60s?

10 MR. THOMAS: Right.

11 MR. MUNGER: Okay.

12 MR. THOMAS: Right.

13 MR. MUNGER: Thank you.

14 MR. THOMAS: So we break into some more detail by field on  
15 the next slide. And what we did with the time we had, we had a  
16 limited amount of data that could be analyzed so Tom Damiana  
17 actually helped us with this and he put together activity by  
18 pad, by field going back several years. Now this actually is  
19 Alpine activity for its life. You can see back in 1999 the  
20 development on the CD-1 started in Alpine and went through 2001  
21 at which point the single drill rig -- that's those numbers  
22 across the top of the bar, that's how many drill rigs are at  
23 issue. The single drill rig then moved over to CD-2 to develop  
24 it. And then about 2005, you know, we had CD-3, CD-4 start to  
25 come online, so the development has been going on there.

1           So Alpine activity is I think characterized best as  
2 development. You know, it's a field that has been in  
3 development and there's a lot of wells on each of those four  
4 pads that have been developed over the last 14 or 15 years. And  
5 correct me if I'm wrong, Randy, in saying that. Now Alpine has  
6 two rigs.

7           MR. KANADY: Just one.

8           MR. THOMAS: What?

9           MR. KANADY: Just one rig. Well, I mean we bring in a rig  
10 in the winter season for three months to accelerate the drilling  
11 on CD-3 and then we pull it off and bring it back to Clark, so.

12          MR. THOMAS: Yeah, and, you know, having gone through that  
13 detail with Alpine, you know, the next slide is Kuparuk  
14 activity, then the slide after that is Prudhoe Bay western  
15 operating activity, then after that the eastern operating area  
16 activity. What I prefer to do, Jeanne, is go to the slide that  
17 has the table where we summarize -- right there. Where we  
18 summarize the activity. Because you can see the detail on the  
19 previous slide, but this is the one that I think conveys the  
20 most information in the most concise amount of way -- most  
21 concise way. The average time on a pad for a drill rig is,  
22 except for Alpine, in the range of 20 to 30 days, but Alpine's  
23 development drilling so it's got a lot more days on the pad. In  
24 only one instance has a rig been on the pad in this dataset for  
25 more than two years and that was at Alpine and that was the CD-2

1 development I believe. The -- all the rest of the time rigs are  
2 on pads generally less than six months. But you can see the  
3 maximum for Kuparuk and Prudhoe. It's -- Kuparuk we had one on  
4 the pad, I think that's probably 1J, for 370 days. But beyond  
5 that -- and that was development driven by the way, but beyond  
6 that the activity on a pad is generally less than six months  
7 with averages much smaller, much smaller. And again, that data  
8 in developed in considerable detail in the previous slides.

9 Any question on that activity? I've been working this,  
10 living this so close I know I have the risk of glossing over  
11 something.

12 MR. MUNGER: What's your standard deviation indicate  
13 there?

14 MR. THOMAS: The standard deviation would be -- you know,  
15 one standard deviation from that 29 day average would be -- you  
16 know, the rig might be on a pad for 69 days.

17 MR. MUNGER: Okay.

18 MS. EDWARDS: So does this include all the -- and I'm not  
19 an expert on drill rig operations. So this is not just the  
20 exploratory rigs, these are the work over rigs and the.....

21 MR. THOMAS: Yeah. The data does include that.

22 MS. EDWARDS: All that -- all those different types of  
23 rigs.

24 MR. THOMAS: Uh-huh (affirmative). It includes the new  
25 wells, new holes and we couldn't get all the work over

1 information out of this, so it includes that as well.

2 MS. EDWARDS: Okay.

3 MR. KUTERBACH: Brad, the average that you have there,  
4 that's the average number of days over that entire period  
5 from.....

6 MR. THOMAS: Yes.

7 MR. KUTERBACH: .....from 2000 and -- so only 24 days out  
8 of all those years was there a rig on that pad.

9 MR. THOMAS: No, that's the average number of days a rig  
10 stayed on a pad over that dataset. So for Kuparuk -- let's just  
11 focus on Kuparuk. So for Kuparuk in the period from 2003 to  
12 2012 the rigs average 24 days or 29 days on a paid.

13 MR. KUTERBACH: Okay. And then once they moved off how  
14 long was the pad empty before another 29 days happened?

15 MR. THOMAS: I have slides for that.

16 UNIDENTIFIED FEMALE: We'll get to that.

17 MR. KUTERBACH: Okay.

18 MR. THOMAS: I have slides for that, so.

19 MS. EDWARDS: So you could have multiple rigs on KRU, but  
20 on average each rig only stayed on 24 days. Is that correct?

21 MR. THOMAS: Yeah. Outside the (indiscernible) day  
22 development the average is 24 days I think at Kuparuk River. So  
23 the normal infield drilling we call it for work overs the  
24 average time on a pad within Kuparuk was about 24 days.

25 MS. EDWARDS: Okay.

1 MR. THOMAS: And I don't -- and again, Kate will speak to  
2 this, but I don't think it's a lot different in Cook Inlet.

3 MS. KAUFMAN: No.

4 MR. THOMAS: Okay.

5 MS. KAUFMAN: No.

6 MR. THOMAS: But Alpine is a different animal because it's  
7 been just under development for all this time. So Kate, if you  
8 just want to go ahead and speak to the Cook Inlet.

9 MR. BARRON: Wait a minute.

10 MS. KAUFMAN: Question.

11 MR. BARRON: Let me try and understand your dataset some  
12 more. Now that is -- what you did is you took the duration of a  
13 -- any given rig on location or did you look at the number of  
14 days any rig was on the pad?

15 MR. THOMAS: These are the -- and Tom, you correct me if  
16 I'm wrong, but this is the average that any given rig was on a  
17 pad, the average amount of time.

18 MR. BARRON: Okay. So any given rig.

19 MR. THOMAS: Yes.

20 MR. BARRON: Okay.

21 MR. THOMAS: Is that correct, Tom?

22 MR. DAMIANA: That's correct.

23 MR. BARRON: Okay. Because what I'm trying to get in my  
24 head is, you know, you could have rig -- a Nabors rig on the  
25 pad, do its thing 29 days, it leaves and a Doyon rig come in

1 right behind it.

2 MR. THOMAS: And I don't think that would be.....

3 MR. BARRON: You know, so is that -- you know, is that one  
4 rig or is that classified as two rigs or.....

5 MR. THOMAS: That would be a different average. So we  
6 averaged the number of days the Doyon rig was on there and then  
7 with the number of days that the Nabors rig was on there, so  
8 they'd be separate events.

9 MR. BARRON: Okay.

10 MR. DAMIANA: It's independent of the rig, if you will.  
11 It's more about the event. How long did the event last on a  
12 pad.....

13 MR. THOMAS: How long was the pad occupied.

14 MR. DAMIANA: .....when it's occurring.

15 MR. BARRON: Okay. That -- thank you. That's the -- how  
16 long is the pad occupied regardless of.....

17 MR. THOMAS: Right.

18 MS. KAUFMAN: Of what it is.

19 MR. BARRON: .....what it is. I mean that's important to  
20 understand.

21 MR. THOMAS: Yeah.

22 THE REPORTER: Who was that speaking on the phone?

23 UNIDENTIFIED FEMALE: Tom Damiana.

24 MS. DAMIANA: This is Tom Damiana.

25 THE REPORTER: Thank you.

1           MR. KANADY:   And this is Randy Kanady.  I guess just to  
2 characterize the drilling activity on CD-2 at Alpine, that  
3 activity is unique because there ended up being close to 80  
4 wells drilled out there and we were kind of boxed in on what we  
5 could do up there because we couldn't -- we didn't have a bridge  
6 across the Nichilik (ph) Channel so we could, you know, move the  
7 rig around as -- to further developments out west.  And so we  
8 really had to -- and then with the development of further I  
9 guess extended reach drilling techniques we were able to hit  
10 more targets from the CD-2 pad that could have been drilled from  
11 CD-5 a lot easier.  And so it was a pretty unique situation  
12 there, not typical.

13           MR. MUNGER:  You were kind of trapped there and so you  
14 made best use of it.

15           MR. KANADY:  Yeah, we did.  And so that's a pretty unique  
16 situation and not -- I wouldn't call it a normal kind of  
17 development scenario.

18           MR. THOMAS:  Any other questions?  So you can go to the  
19 next slide.

20           MS. SWARTZ:  Okay.

21           MR. TURNER:  Can you please move close to the microphone  
22 for the transcriptionist?

23           MR. THOMAS:  (Indiscernible).

24           UNIDENTIFIED FEMALE:  Okay.

25           MR. TURNER:  Thank you.

1 MS. KAUFMAN: Okay. So I put together or we put together  
2 some slides to illustrate our drilling activity in Cook Inlet.  
3 Really it is just specific to Hilcorp operations since they took  
4 over operatorship of the Chevron assets in 2012. Didn't include  
5 a lot of information from other operators in Cook Inlet partly  
6 because I don't have a lot of it, although kind of upon  
7 reflecting on it I think we're somewhat representative of the  
8 type of activity having both onshore and offshore and similar  
9 rig operations to the other Cook Inlet operators I guess with  
10 the exception of the jack up rigs which would have a -- you  
11 know, operate under a portable oil and gas permit.  
12 Additionally, we kept it specific to Hilcorp and didn't do as  
13 much of a look back, kind of a smaller dataset than Brad  
14 presented. And I think primarily because the way Hilcorp is  
15 operating in the inlet now and plans to operate in the future is  
16 fairly different than from what Chevron was doing with the  
17 exception of the development, initial development. So there's  
18 just a higher level of activity right now, so we really wanted  
19 to present an accurate picture of that.

20 So essentially this is a breakdown of our operations in  
21 2012. The different color scheme there is to show our asset  
22 team. So we essentially have three areas of operation. North  
23 Kenai which is north of the Kenai River on the east side of the  
24 peninsula, primarily Swanson River. Our south Kenai team  
25 operates in Ninilchik, Kenai gas field, Happy Valley, Deep Creek

1 area, so have legacy Marathon properties. And then green is the  
2 Cook Inlet offshore team and in 2012 our primary operations  
3 there were on Steelhead platform.

4 So a couple of things to note here. You see two incidents  
5 of operation on Happy Valley B pad. Essentially we had a rig  
6 that drilled on B pad for a short period of time in the middle  
7 -- mid of 2012. The rig left and then came back to drill two  
8 more wells at the end of the year. So that larger period of  
9 time is a two well program on B pad. But even with two wells we  
10 stayed there for just over 60 days. So -- and then in the north  
11 Kenai team we drilled four wells in Swanson River field, so on  
12 average didn't stay on a pad any -- you know, any longer than 40  
13 or 50 days.

14 MR. THOMAS: This is Brad Thomas. A question on the  
15 Steelhead platform. So a rig, the drilling rig was transported  
16 off the platform, it's drilled for upwards of 120 days, then  
17 left.

18 MS. KAUFMAN: No. The Steelhead platform has a rig that's  
19 affixed on the platform of the facility. It's included in the  
20 Title 5 operating permit. So at this time we don't have a  
21 transportable drill rig that would -- could go to all the  
22 different platforms in the inlet. We have a fixed rig on  
23 Steelhead on the Monopod and then on the Anna. Do you have any  
24 questions on that?

25 MR. MUNGER: This is the new rig brought up and I'm lost

1 on the pronunciation, but it starts with an M.

2 MS. KAUFMAN: Moncaw (ph)?

3 MR. MUNGER: Yeah. Isn't that the portable rig for the  
4 rig to rig activity?

5 MS. KAUFMAN: That is a small pulling unit for work over  
6 operations. And so for the purposes of this discussion we only  
7 addressed drilling operations, essentially grassroots or  
8 sidetrack drilling operations.

9 Okay. No more questions, we can do the next slide. And  
10 then this is just a snapshot of our current activity. In 2013,  
11 again kind of a breakdown by asset team and we have additional  
12 wells being drilled in Swanson River. The kind of hash marked  
13 ones are the wells that we're currently operating on and then  
14 the dotted columns are the wells that we have planned for the  
15 rest of the year. So, you know, this is representative of our  
16 activity level in Cook Inlet, you know, eight to 10 wells a year  
17 between these different areas and generally not staying on any  
18 one location for more than 60 days probably with the exception  
19 of our offshore facilities, but that's somewhat of a moot point  
20 because they're incorporated in the permits.

21 MR. MUNGER: What rig do you have operating on the Anna?

22 MS. KAUFMAN: Rig 428 and that's also included in the Anna  
23 Title 5 operating permit.

24 MR. MUNGER: Okay. So that's a stationary rig then?

25 MS. KAUFMAN: Well, it's transportable. It can be moved

1 to other platforms. It is only included in the Title 5 permit  
2 for the Anna and I think the.....

3 UNIDENTIFIED MALE: Dillon.

4 MS. KAUFMAN: .....Dillon right now. So if we wanted to  
5 bring it to say Bruce or another Cook Inlet platform we would  
6 have to go through a permitting exercise. It would have to be  
7 permitted to operate on those other facilities.

8 MR. MUNGER: But that won't be the rig designated to move  
9 from platform to platform?

10 MS. KAUFMAN: It's something we've -- we're evaluating,  
11 but, you know, kind of, again, looking at some of the permitting  
12 challenges that are inherent to that it may or may not be a  
13 feasible solution.

14 MR. MUNGER: Okay.

15 MS. KAUFMAN: Okay. Let's see, a couple other things.  
16 You know, there -- we do in some instances go, return to a pad.  
17 I know it's kind of hard to read this, but we have two wells,  
18 one in Swanson River on pad 2315 that we drilled earlier this  
19 year and we will return to that pad again to drill a second well  
20 approximate -- it's the last one in the blue there for 2013.  
21 So, you know, we do occasionally need to return to locations to  
22 drill additional wells, but, you know, in reality Hilcorp nature  
23 of the operations are certainly, you know, transient and moving  
24 around quickly from one location to the next. And then the  
25 purple for our south Kenai team. (Indiscernible) we're drilling

1 right now is currently a oil exploration well, so we do have  
2 some exploration activity in Cook Inlet. And then Anna is the  
3 only drill well anticipated for rig 428 this year.

4 MR. EVANS: And -- this is Wally. One distinction, I'm  
5 not sure if it even matters, is that moving the Hilcorp rigs  
6 down in Cook Inlet is a little bit different than moving them up  
7 north because up north they're probably -- if I'm wrong, Brad,  
8 correct me, limited to the time of the year. They can't do it  
9 as much in the summertime as they can in the wintertime. So I  
10 imagine a lot of their activity is done in the wintertime as far  
11 as the movement of them.

12 MR. KANADY: Well, it's dependent on -- this is Randy  
13 Kanady. It's dependent on the field. Certainly -- well, like I  
14 was saying, we moved Doyon 141 out to Alpine for the winter  
15 season which is only three months. CD-3 actually is only  
16 accessible during the wintertime. But really that's the only  
17 exception where we're limited to wintertime activity and then,  
18 of course, exploration drilling out in PRA (ph). But within  
19 the, you know, Prudhoe, Kuparuk network it's all by gravel road  
20 and we can move around and -- as best we can on the soft roads.

21 MS. KAUFMAN: So certainly, you know, one thing this  
22 illustrates is that we're not typically drilling and having a  
23 rig stationary on one pad for an extended period of time for,  
24 you know.....

25 UNIDENTIFIED MALE: Okay.

1 MS. KAUFMAN: .....certainly over 60 days and I don't  
2 anticipate that would be the case in the future. And I guess  
3 just for kind of reference sake also, in terms of the permitting  
4 environment in the inlet we kind of have the full spectrum I  
5 guess. Some of our rigs in the Ninilchik unit operate under the  
6 minor general one permit. In Swanson River we have a  
7 transportable drill rig included in the permit, but we have to  
8 stay under certain thresholds to bring a drilling rig. So we  
9 have to evaluate and ensure that the emissions won't exceed  
10 specified thresholds in the permit in Swanson River. And we do  
11 have the ability with some of the fixed rigs offshore, the  
12 platforms, but if we did bring in a transportable drilling rig  
13 for grassroots or sidetrack wells we'd have to, you know, go  
14 through a permitting exercise for that as well.

15 MR. MUNGER: What is a grassroots well?

16 UNIDENTIFIED FEMALE: New well.

17 MS. KAUFMAN: It's just a new hole instead of sidetracking  
18 off an existing one.

19 MR. MUNGER: I see.

20 MR. BROWER: Just a question. On your stationary rig on  
21 the platform, does that rig ever get demobilized or does it get  
22 demobilized with the platform?

23 MS. KAUFMAN: For two of the rigs would likely not be  
24 decommissioned and removed unless they remove the platform.  
25 They're still in use and in operation. Hilcorp did go through

1 an exercise last year and removed a number of rigs from a number  
2 of facilities that were just too old and antiquated to really  
3 economically drill. The Steelhead and the Monopod will likely  
4 stay there for future drilling opportunities. And Anna 428,  
5 like I said, it does -- it has -- we have the ability to move it  
6 and it could potentially be decommissioned.

7 MR. BROWER: I'm just trying to think a little bit about  
8 this stuff and most of the drill rigs I know, they're always  
9 transportable. They're -- they move around from pad to pad,  
10 from exploration site to exploration site. And -- but we do in  
11 fact have a permanent stationary drilling operation indefinite.

12 MS. KAUFMAN: Uh-huh (affirmative). Which is kind of the  
13 -- it's out of the ordinary I think and not -- in terms of this  
14 discussion we could almost kind of remove it from the discussion  
15 because I don't anticipate we would have a -- we'd want to  
16 permit a stationary drilling rig in the future. It certainly  
17 limits our operation. These are just kind of relics from what  
18 was initially placed there. And then we -- they don't currently  
19 pose any permitting challenges for us per se.

20 MR. MUNGER: Is the Monopod platform and the way the  
21 Monopod's configured that will never be a portable rig  
22 configuration at all?

23 MS. KAUFMAN: No.

24 MR. MUNGER: It'll always have that legacy derrick on it.  
25 Is that under Title 5 then?

1 MS. KAUFMAN: Yes.

2 MR. MUNGER: Okay.

3 MR. THOMAS: Well, they do that so the city of Kenai  
4 doesn't have to change their logo.

5 MS. KAUFMAN: Is that what it is?

6 MR. THOMAS: Yeah.

7 MS. KAUFMAN: (Indiscernible).

8 MR. THOMAS: Yeah. It's certainly unique.

9 MS. KAUFMAN: If there's not any other questions. Presume  
10 I (indiscernible).

11 MR. THOMAS: So John, this gets us to a question you  
12 asked. Tom plotted up the inactivity by pad. So this -- these  
13 are the -- the Y axis is the number of currents. The X axis is  
14 the number of consecutive days. These show the number of  
15 consecutive days a pad will sit unoccupied by a drill rig. And  
16 you can see usually -- I guess in only one instance was a pad in  
17 Alpine unoccupied for more than two years. I mean they're --  
18 the pad gets visited much more frequently than every two years.  
19 It's much more frequently than every year. They -- the pad  
20 activity in Alpine is -- has been pretty high. You know, I  
21 don't want to go too fast through these slides because I know  
22 they might take a minute to digest. But what this slide shows  
23 is that the pads in Alpine, which there's only four, they stay  
24 very active. There's only two rigs in Alpine at any given time  
25 that move around, usually only one rig that moves around, so

1 that rig moves around quite a bit within the field, within the  
2 pads.

3 MR. KANADY: Well, this is Randy Kanady again. I guess  
4 Alpine is -- uses a model for future development on the North  
5 Slope in that we're going to smaller pads because we can access  
6 a larger perimeter with directional drilling. And so -- again,  
7 I -- you know, the smaller pad kind of works against you when  
8 you're modeling it because the facility fence line is considered  
9 the edge of the pad and then, you know, we're drilling more  
10 wells, we can access more wells from a given pad, you know, than  
11 we could when Prudhoe was developed as well as when Kuparuk was  
12 developed. I mean I think there's 40 pads at Kuparuk and almost  
13 that many at Prudhoe. I suppose if you -- you know, so -- and  
14 we have four pads at Alpine, so.

15 MR. KUTERBACH: So the note there that -- this is John.  
16 The note that individual occurrences with a duration of less  
17 than two days were not included in the graph, do we have any  
18 sense of how often that happens?

19 MR. THOMAS: I'll let Randy answer that question, but I  
20 would say probably not often.

21 MS. KAUFMAN: Yeah, two days.

22 MR. KANADY: Yeah, two days they -- yeah. They weren't  
23 doing any drilling for two days. They could have been just  
24 stopped there for two days.

25 MR. KUTERBACH: So is the typical duration a pad is

1 vacant.....

2 UNIDENTIFIED MALE: Oh, this is Kuparuk.

3 MR. THOMAS: (Indiscernible) Kuparuk. Yeah, the -- on  
4 this slide.....

5 MR. KUTERBACH: So it's -- that would -- normally the less  
6 than two days would be the less than 50. Right?

7 MR. THOMAS: Yeah.

8 MR. KUTERBACH: But it's not included in that bar.

9 MR. THOMAS: Right. Right.

10 MR. KUTERBACH: So would that be like swapping one rig for  
11 another in the same project or something?

12 MR. KANADY: No. I suppose -- I mean, Ben, you can weigh  
13 in on this. Have we ever done any work overs in under two days?

14 MR. WEDIN: This is Ben from Nordic. Probably the fastest  
15 work over you could do is four days.

16 UNIDENTIFIED MALE: That's lightning quick too.

17 MR. WEDIN: Just from moving in, rig up and.....

18 UNIDENTIFIED MALE: Yeah.

19 MR. WEDIN: .....rig release.

20 MR. KANADY: And the work overs I think are included in  
21 this plot?

22 MR. THOMAS: Yeah, that's -- the work overs are included.

23 MR. KUTERBACH: Okay. So what you're saying is, is there  
24 are no individual occurrences with a duration less than two  
25 days.

1 MR. THOMAS: Hey, Tom, were there a bunch?

2 MR. DAMIANA: No.

3 MR. THOMAS: A handful, a couple?

4 MR. DAMIANA: No, it was probably less than five.

5 MR. KUTERBACH: Okay.

6 UNIDENTIFIED MALE: And we aren't sure (indiscernible).

7 MR. DAMIANA: And it may just be an artifact of the way  
8 that the data is reported. Like I said, it might have been a  
9 maintenance period or something like that where the drilling  
10 stopped and two days for maintenance and then it, you know,  
11 moved on to another well on the same pad.

12 MR. THOMAS: Okay. Well, so what you saw on Alpine about  
13 pad activity, the same message holds true for Kuparuk and the  
14 following slides, Prudhoe Bay. The pads stay active much more  
15 frequently than every.....

16 MR. MUNGER: On the Alpine?

17 MR. THOMAS: I'm sorry?

18 MR. MUNGER: On the Alpine they stay a lot more active?  
19 Well.....

20 MR. THOMAS: Yeah, (indiscernible).

21 MR. KANADY: This is Randy Kanady. At Alpine we're still  
22 in development drilling.....

23 MR. MUNGER: Okay.

24 MR. KANADY: .....and so that's kind of the mode of  
25 activity that was presented. That's what the numbers reflect is

1 development drilling. What you're looking at in Kuparuk and WOA  
2 is true infield drilling activity where the rig is moving from  
3 one pad to the next depending upon, you know, the scheduling and  
4 the economic benefit of the next well and these things get  
5 reprioritized based on a number of things. And so you see a lot  
6 more variability in the infield activity because they aren't set  
7 up there to, if you will, program drill a given area.

8 UNIDENTIFIED MALE: Right.

9 MR. THOMAS: So I'll, you know, let this go slow. You  
10 know, it's a lot for people to digest these next questions. But  
11 the message that we convey with these slides is that any  
12 individual pad stays very active. And that to find them  
13 unoccupied for less than a year, let alone two years, is  
14 uncommon, very uncommon.

15 MR. KUTERBACH: So there's pretty much always something  
16 going on.

17 MR. THOMAS: Well, frequently there's something going on,  
18 yeah.

19 MR. KANADY: And this is Randy Kanady again. At Kuparuk  
20 that activity is anticipated to increase.

21 MR. THOMAS: Is anticipated to increase you said?

22 MR. KANADY: To increase, yeah. The rig activity is  
23 anticipated to increase.

24 MR. KUTERBACH: So could you say that there's basically a  
25 permitted periodic occupation of the sources, it's 30 days, but

1 it's going to happen multiple times over the course of the  
2 years?

3 MR. THOMAS: I'm going to defer to Randy and Ben on this  
4 one.

5 MR. KANADY: Yeah, this is Randy Kanady. Yeah, the -- it  
6 would -- multiple activities of short duration. You know, I  
7 mean a typical work over is anywhere from five to 10 days. If  
8 the Quotuban (ph) drilling rig shows up it could be there from  
9 30 to 60 days and then it could go over to another pad for  
10 another 60 days. But you got to consider that there's 40 pads  
11 at Kuparuk and so that activity is spread out over 400 square  
12 miles. Basically a 20 by 20 mile area. Right?

13 MR. KUTERBACH: Right. But for any given pad it's --  
14 there's a level of activity that occurs there that's more or  
15 less -- if you averaged it out over the year it's more or less a  
16 constant.

17 MS. CASTANO: This is Alejandra. I guess I wouldn't call  
18 it a uniform level of activity.

19 MR. KUTERBACH: No, not.....

20 MS. CASTANO: It really depends on what kind of work is  
21 being done and, you know, there may be a pad that we have no  
22 reason to visit for awhile longer than what's reflected here.  
23 So you would almost have to look at it pad by pad, but this is  
24 intended to show that yes, there is a field wide level of  
25 activity, constant level of activity.

1 MR. THOMAS: This is Brad. Maybe to answer your question,  
2 John, the only way to answer it is there's no pad at which you  
3 can expect no activity in a given, you know, year or two year  
4 period. All the pads are going to get activity.

5 MR. KANADY: This is Randy Kanady. Ask Ron Wilson or Ben  
6 Wedin if -- they're our drilling representatives here from Doyon  
7 and Nordic, if they have anything to add, you guys.

8 MR. WEDIN: Well, our -- probably our -- this is Ben from  
9 Nordic. Our typical cycle of our two drilling rigs in Prudhoe  
10 is, you know, they're pretty much on a well 14 days, back off a  
11 well and on. You know, so that's our typical cycle at Prudhoe.  
12 Rarely do we go over the, you know, two week mark. It does  
13 happen occasionally and rarely do we batch (ph) drill wells on  
14 the Slope. And when I say batch (ph) drill that means doing  
15 multiple wells on the same pad. That's pretty rare to do that  
16 on the North Slope. Now some developments require batch (ph)  
17 drilling. I think we talked earlier about the 1J. That was  
18 pretty much multiple wells on the same pad. But for our  
19 operations in Kuparuk, the work over operations, we could be  
20 doing, you know, wells every seven days. We've done up to six  
21 wells in a month. Sometimes -- occasionally we'll do multiple  
22 wells on the same pad, but it's very rare in work overs that  
23 you'll have that many problem wells on the same pad. Usually  
24 they're spread out amongst the field where you're going to all  
25 corners of the field. Our typical rig moves are 12 to 20 miles

1 and the one we're doing right now is 10 miles, so.

2 MR. PECK: Basically the same from -- I mean we got  
3 drilling rigs that are doing work overs that may just take a few  
4 days and then moved 10, 20, 30 miles and -- yeah, could be  
5 delayed, there's been just a lot of work overs or side drives,  
6 so not on the pads for a long period of time. Activity on the  
7 pads seems like it's less on one pad. There's a lot of -- more  
8 pad moves.

9 MR. EVANS: This is Wally. It kind of brings a question  
10 of mine. It sounds like what -- and what John was eluding to  
11 here is there is some sort of activity constantly going on, but  
12 it's not drilling activity. It's work overs, maintenance, stuff  
13 like that. Is that true to say?

14 MR. THOMAS: It's either drill rig or work over rig, yeah.

15 UNIDENTIFIED MALE: Yeah, it's rig activity.

16 UNIDENTIFIED MALE: It's rig activity, right.

17 MR. BARRON: Whether it be drilling or work over, we've  
18 been doing -- off and on doing both.

19 MR. EVANS: Do you need a permit for work overs and.....

20 UNIDENTIFIED MALE: No.

21 UNIDENTIFIED MALE: No.

22 MR. EVANS: So should those be included in that? I mean  
23 you don't need -- you don't -- my whole point is you don't -- it  
24 appears you don't need permitting for work overs, service  
25 activities, maintenance, yet a big portion of activities is

1 associated with that, but we're concerned about the drilling  
2 activities.

3 MR. BARRON: Well, let me ask that question then. If --  
4 but if it's the same piece of equipment.....

5 MR. EVANS: It's not.

6 MR. BARRON: If it's the same piece of equipment.....

7 MR. EVANS: It's not.

8 MR. BARRON: .....do you need the permit if it's doing a  
9 different activity?

10 MR. EVANS: No.

11 MR. BARRON: Same piece of kit goes from one slot, slides  
12 down the line -- it was drilling.....

13 MR. EVANS: Well.....

14 MR. BARRON: .....same piece of kit slides down the line,  
15 does a work over. You don't need a permit?

16 MR. EVANS: The same kit.

17 MR. KUTERBACH: Is the same kit, does that have the same  
18 power usage, fuel usage, demand usage for the different  
19 operations?

20 UNIDENTIFIED MALE: Auxiliary units.

21 MR. EVANS: At least in Cook Inlet it's totally different  
22 rigs. We don't have -- our drill rigs aren't our work over  
23 maintenance rigs.

24 MR. BARRON: Steelhead -- I know it's a different permit,  
25 but.....

1 MR. EVANS: But you're correct, it -- you know, those kind  
2 of rigs are, you know, one thing, whether it's -- right.

3 MR. BARRON: So that's why I think that -- that's why I'm  
4 continuing to press the question.

5 MR. EVANS: That is.....

6 MR. KUTERBACH: But Steelhead, isn't that.....

7 UNIDENTIFIED MALE: That's permanent.

8 MR. KUTERBACH: .....that permanent.....

9 UNIDENTIFIED MALE: Yeah.

10 MR. BARRON: Right. I'm just.....

11 MR. KUTERBACH: .....that's a permanent a rig on the site.

12 MR. BARRON: I understand that. I'm.....

13 MR. KUTERBACH: So I don't understand the question.

14 MR. BARRON: I know the rig well.

15 MR. EVANS: But if we're doing work overs are we using the  
16 same power generation as we are drilling? I'm assuming not, so.

17 MR. KANADY: This is Randy.....

18 MR. BARRON: That's kind of why I'm asking the question.

19 MR. KANADY: Well, I guess my perspective on it is Doyon  
20 141 is an example. We use it for both grassroots drilling,  
21 sidetracks and work overs and right now it's in work over  
22 activity. And fuel usage, we typically put it on highline power  
23 and it burns about the same amount of.....

24 UNIDENTIFIED MALE: That's what I (indiscernible).

25 MR. KANADY: .....fuel. If it wasn't on highline power

1 and it was running on its generators it would burn quite a bit  
2 more fuel.

3 MR. EVANS: Okay. So that's the difference between Cook  
4 Inlet and the North Slope then.

5 MR. KUTERBACH: Well, that particular one in North Slope.  
6 They don't all run on highline power.

7 UNIDENTIFIED FEMALE: Unh-unh (negative).

8 UNIDENTIFIED MALE: Okay.

9 MR. WEDIN: But -- this is Ben from Nordic again. I think  
10 one of the points here is that, you know, there's very few rigs  
11 in Alaska, even viable rigs in Alaska, that aren't operational.  
12 There's very few rigs operating. These rigs are similar to the  
13 rigs down in the lower 48 and if you have 10 rigs operating in  
14 Alaska with the same type of power equipment as 400 rigs down in  
15 the Permian it's going to create a different effect on the  
16 environment. Right? That's -- I think that's kind of the issue  
17 we're talking about here. But there -- the fact of the matter  
18 is there's few -- there's very few rigs in Alaska. They tend to  
19 visit paths at different intervals. We don't do a -- you know,  
20 some developments like Alpine, they do a lot of batch (ph)  
21 drilling. Some they don't. It's just a -- it's a mixed bag of  
22 what we do up there. But to bring a -- you know, another point,  
23 to bring a rig to Alaska is quite a feat too, especially the  
24 North Slope. It's a very costly venture. It's a high risk  
25 venture. And so even if we change the way things are regulated

1 that might spur maybe one or two rigs to come to Alaska, but  
2 it's not going to be 50 or 100. You know, these.....

3 MR. KUTERBACH: And in the Permian Basin, since we're  
4 talking about these type of rigs and how long they stay on the  
5 pads, they're doing the same thing you're doing, going back to  
6 the same pads, doing the work overs, doing the side drill -- no?

7 MR. KANADY: No. It's -- this is Randy Kanady. The  
8 Permian, the Bakkan, these unconventional shale clones, it's  
9 program drilling and they're -- you know, and it's.....

10 UNIDENTIFIED MALE: Development.

11 MR. KANADY: .....and it's.....

12 MR. KUTERBACH: Okay. So that's not really comparable to  
13 the way you're operating on your infield drilling up here.

14 MR. KANADY: It's comparable to the activity on  
15 development drilling in Alpine.

16 UNIDENTIFIED MALE: Yes indeed.

17 MR. PECK: Yeah, they started to do a lot pad drilling  
18 down there.

19 UNIDENTIFIED MALE: You bet.

20 MR. KANADY: But they don't -- I mean it's -- you know, in  
21 the lower 48 they aren't -- you know, they're moving from one  
22 land owner to the next and they may drill, I don't know, two to  
23 eight, you know, wells on a location and then -- but in Alaska  
24 where we're restricted by wetland type activity we do more with  
25 -- you know, on a smaller footprint.

1 MR. KUTERBACH: But I thought you said that it's drilling  
2 one well and then moving on. Or that's the typical.

3 MS. KAUFMAN: (Indiscernible) development drilling, like  
4 if you're developing one field versus you're kind of -- a  
5 field's been developed and you're just -- then you're doing kind  
6 of upkeep and maintenance.

7 MR. KUTERBACH: Okay. Well, that's what I'm trying to  
8 understand.

9 MR. KAUFMAN: Different type of operation.

10 MR. KUTERBACH: We were talking about the Kuparuk, the  
11 infield drilling operation. From what I understood, maybe I  
12 misunderstood, the typical operation is you'll move on to a  
13 place for maybe two weeks, you'll be drilling one well, then you  
14 move off and you're off to something else, that's how it  
15 operates.

16 UNIDENTIFIED MALE: Yeah.

17 MR. KUTERBACH: And from what I understand in the Permian  
18 or the new shale plays or whatever else we were talking about  
19 that's not what they're doing. They're going to one spot and  
20 they're drilling eight wells or more.

21 MR. KANADY: Right. And then moving to the next  
22 location.....

23 MR. KUTERBACH: Okay.

24 MR. KANADY: .....where they.....

25 MR. BARRON: But Doyon may have the contract to drill one

1 well at the Kuparuk location and Nabors may come in right behind  
2 them with a different contract to drill another well on that  
3 same pad at Kuparuk. I mean that is not -- that's not  
4 inconceivable of having multiple different rigs come in and --  
5 coming and going off that same pad. In fact one of the pictures  
6 that you had in here had two rigs on one location.

7 MR. KANADY: Yeah, we have three drilling contractors at  
8 Kuparuk. We have Nabors, Nordic and Doyon. And which operators  
9 are in Prudhoe?

10 UNIDENTIFIED FEMALE: Parker, (indiscernible).

11 MR. KUTERBACH: And so do they do that same thing down  
12 south where you'll have multiple rigs coming in onto the same  
13 pad?

14 UNIDENTIFIED MALE: Same location (indiscernible).

15 MR. KUTERBACH: Same location. Okay.

16 MR. WEDIN: Yeah. I think -- this is Ben from Nordic.  
17 There were some pictures of, you know, multiple rigs on the same  
18 pad in the Bakkan that we've been presented originally. That  
19 will happen where you're -- down there as well where you have  
20 multiple rigs on the same pad.

21 MR. KUTERBACH: And so these.....

22 MR. BROWER: Can I get a -- maybe an understanding on one  
23 portion of your activity that I'm still thinking about? With  
24 the same drill rig that you do work overs, just maintenance,  
25 infield maintenance, and you could use that same rig to do a

1 delineation drilling or some other drilling activity that's real  
2 drilling. And the maintenance drilling with the same equipment,  
3 you don't need a permit to do that or do you need a permit to do  
4 that but using the same drill rig to.....

5 MR. THOMAS: The regulation is -- permits are required for  
6 what's -- for portable oil and gas operations and that's defined  
7 as drilling or testing wells and it excludes well maintenance  
8 activities.

9 MR. EVANS: We permit the activity, not the equipment.

10 MR. BROWER: Okay.

11 MR. THOMAS: Yeah, right. Right.

12 MR. KANADY: So I guess to add a little bit more to that.  
13 This is Randy Kanady. So in our facility operating report for  
14 Kuparuk we just include those activities associated with  
15 drilling new hole. And so typically the only rig that shows up  
16 on our FOR as of late is the Nabors coil tubing drilling rig  
17 because that's typically the only rig that we have drilling new  
18 hole. The other two to three rigs at Kuparuk are doing work  
19 over activities and aren't actually drilling.

20 MR. BARRON: Okay. With that being said let's make sure  
21 we understand the dataset that you presented in your original  
22 presentation. Because the dataset from Baker is for rigs that  
23 are drilling, turning to the right activity, not work overs,  
24 recompletions. If they go into a work over mode or if they're  
25 completing the well Baker doesn't show them.

1 MR. THOMAS: Hold that thought. Can I get you to go back  
2 to that original (indiscernible)?

3 MR. BARRON: At least that's my understanding.

4 UNIDENTIFIED FEMALE: (Indiscernible).

5 MR. THOMAS: I actually had a note addressed that. So  
6 it's the middle presentation. And scroll down, I'll tell you  
7 when to stop. There, stop.

8 UNIDENTIFIED FEMALE: Sorry.

9 MR. THOMAS: So if you read that second paragraph though.  
10 Maybe read both paragraphs.

11 UNIDENTIFIED FEMALE: Yeah, I'll enlarge it a bit. Is  
12 that readable, Bill?

13 MR. BARRON: Yes. The other one was.

14 UNIDENTIFIED FEMALE: Okay.

15 MR. THOMAS: I actually just copied that text right off of  
16 their website.

17 UNIDENTIFIED MALE: So the rigs they can operate without a  
18 permit, that's just Alaska. Right? Because (indiscernible).

19 MR. THOMAS: No, the permit here is like an AOGCC permit  
20 or a Texas Railroad Commission permit. It's a permit to drill a  
21 hole in the ground.

22 UNIDENTIFIED MALE: Oh, okay.

23 MS. CASTANO: Yeah, they're actually drilling permits,  
24 not.....

25 MR. BARRON: Yeah, but I think the key there is they are

1 drilling.

2 MR. THOMAS: Yeah, except that in that -- that last  
3 sentence though is what caught my eye, for example,  
4 (indiscernible) of a rig that's deployed in drilling a new well.  
5 Okay. You're right.

6 MR. BARRON: They are. They're included. So the common  
7 denominator here is the bit's.....

8 MR. THOMAS: You're right.

9 MR. BARRON: .....in the dirt turning to the right.

10 UNIDENTIFIED MALE: Yeah, the work overs.

11 MR. BARRON: In simple terms. Right?

12 MR. THOMAS: You're right.

13 MR. BARRON: If the bit's not turning the way I -- when I  
14 contacted Baker the way that their representative discussed it  
15 with me is if the bit's not running they don't count it.

16 MR. THOMAS: You're right. That's right. I.....

17 MR. BARRON: So the rig could be on location and tripping  
18 and it's not in their count on that day.

19 MR. THOMAS: Okay. You're right. I think you got it  
20 right. Yep.

21 UNIDENTIFIED FEMALE: Okay.

22 MR. THOMAS: You can close that one.

23 MR. BARRON: So again, I'm just trying to make sure we  
24 understand what the data -- my understanding of the dataset. My  
25 -- but I'm glad you clipped that out because that sort of

1 implies the same understanding.

2 MR. THOMAS: Yes.

3 MR. BARRON: So again, when we talk about the activities  
4 and actual rig activity is different than drilling activity.

5 MR. THOMAS: Right. Right.

6 MR. BARRON: Just to make it even more muddy.

7 UNIDENTIFIED MALE: Good on you, guy.

8 MR. TURNER: So this is Tom Turner. Just so I'm clear,  
9 there's more rig activity than we permit as DEC.

10 MR. BARRON: Yes.

11 UNIDENTIFIED MALE: Yes.

12 MR. TURNER: Thank you.

13 MR. THOMAS: So to follow up on that question, how much  
14 more? I mean we've talked about work overs. Is it.....

15 MR. KANADY: Okay. At -- this is Randy Kanady. At  
16 Kuparuk we have Nabors, CDR-2, a Nordic three, a Doyon 141 and a  
17 Nabors -- a 7-ES. Of those four rigs only one of them is  
18 currently drilling. That's Nabors -- the coil tube in CDR-2.

19 MR. THOMAS: That's it.

20 MR. BARRON: But would you classify those as drilling  
21 rigs?

22 MR. KANADY: They're all drilling rigs.

23 MR. BARRON: So in the graphs that we're looking at you  
24 counted them as drilling rigs even though they may or may not be  
25 drilling.

1 MR. THOMAS: True.

2 MR. BARRON: Okay.

3 MR. TURNER: So this is Tom Turner again. With all this  
4 drill activity you could have increased emission levels from all  
5 those different units functioning along with the auxiliary  
6 units.

7 MR. THOMAS: Not on a per pad basis. Because usually when  
8 you have a rig on a pad drilling a hole that's not the same pad  
9 on which a -- you have work over equipment. That's going  
10 someplace else.

11 MR. KUTERBACH: Not at the same time.

12 MR. THOMAS: That's correct.

13 UNIDENTIFIED FEMALE: Right.

14 MR. THOMAS: That's correct.

15 MR. KUTERBACH: That was John, in case you needed to get  
16 that.

17 MR. THOMAS: So the last slide in the presentation is just  
18 a summary. You know, the only development drilling and not  
19 often at that will you see a rig on a pad for more than two  
20 years. In the datasets that we looked at it only happened once.  
21 You know, more typically the pads are occupied for rigs -- by  
22 rigs, you know, for less than six months and the visitation  
23 occurs more frequently than every six months. And once a rig  
24 leaves a pad and some other rig comes back or the same rig comes  
25 back it doesn't stay very long. So that's kind of a summary of

1 what we've tried to present here is -- you know, and the take  
2 away is pads are active, so.

3 MR. KUTERBACH: Always emissions going on at the pads.

4 MR. THOMAS: Yep. So that -- so in the absence of Alice  
5 do we want to just go on to the next item on the agenda or.....

6 MR. KUTERBACH: Well, there's co-chairs. I think it falls  
7 to the co-chair to lead us.

8 MR. BARRON: With that, I mean is there a bar nearby?

9 UNIDENTIFIED MALE: (Indiscernible)

10 UNIDENTIFIED MALE: For god's sake, we need a.....

11 MR. BARRON: You know, I guess the question then becomes  
12 -- I mean the -- one of the things that I -- permit activity,  
13 not equipment. You know, and I'm trying to reconcile that in my  
14 head because to me we're -- we should be talking about -- again,  
15 if we went back to the earlier part of this session we were  
16 talking about trying to understand emissions from equipment.  
17 But we've now kind of bifurcated that discussion to say, well,  
18 do we want to look at the emissions from the equipment when it's  
19 doing activity A, but we don't want to look at it when that same  
20 piece of kit is doing activity B which seems to me to be  
21 probably not the right answer. Because to me the kit is doing  
22 an activity and having emissions.

23 MR. THOMAS: This is Brad speaking. The response -- the  
24 ambient data that we've collected over, you know, 22 years in --  
25 at A Pad in Prudhoe Bay, the several years in Alpine, the

1 ambient data we've collected around rigs covers both activities.

2 MR. BARRON: Which leads me back to where part of -- you  
3 know, I think Gordon had a comment, Mike had a comment, I  
4 clearly had a comment about what's the dataset and do we  
5 actually have a problem and are we fighting the wrong issues.  
6 And should we be fighting and trying to protect the environment  
7 from what is real, not which might -- or might not be imaginary.  
8 And that's good. I keep trying to get -- so your data, the  
9 dataset that you've got is for all activity.

10 MR. THOMAS: Right.

11 MR. BARRON: Not what has permitted or not permitted.

12 MR. THOMAS: Right.

13 MR. BARRON: Which I think is important to understand.  
14 Right? To some of your points. I mean.....

15 MR. BROWER: I think so. I mean I think there's -- you  
16 know, I like the thoughts of the longer term picture and  
17 developing methods to look at where the problem really is.  
18 Right now we're just -- we think, you know, is there a problem  
19 with drill rigs. Let's permit the heck out of those guys and  
20 give them stringent guidelines to do that.

21 MR. THOMAS: But only when they're drilling.

22 MR. BROWER: Only when they're drilling. So for me as a  
23 subsistence hunter I see this yellow haze out there and I look  
24 at a professional consultant, Susan Harvey, can you find out  
25 where that source is. And she has taken videos of we thought

1 could be a source and that was the flaring, flaring of all the  
2 facilities in the -- in Prudhoe Bay. You know, maybe it's rust  
3 particles. There's certainly an orange haze. But I think, you  
4 know, we try to look for where the cause is, where the problem  
5 is. You know, the wheel is not broken, you know, why do we try  
6 to fix it, you know.

7 MR. BARRON: So as far as -- as you look at the agenda,  
8 we're -- we need to kind of think about whether it's a topic for  
9 the next meeting or start dabbling in it today is what are the  
10 requirements for compliance with the National Air Quality. I  
11 mean what is within our control -- and we started that right  
12 before the break. What is in our control, what is out of our  
13 control. I mean I think we need to have some sort of discussion  
14 around -- because that to me begins to get to the trigger point  
15 of -- you know, have we -- what do we need to be in compliance.  
16 What is the -- you know, how do we know that we're in  
17 compliance, how do we know we're out of compliance. We clearly  
18 don't want to be out of compliance. Right? I mean that would  
19 be kind of foolish. But do we -- is there -- are there ways to  
20 discuss -- you know, how do you know when you are, how do you  
21 know when you're approaching it, how do you know when you're  
22 not. And just because we're not doesn't mean what we're doing  
23 is right. You know, it doesn't mean that it's wrong either.  
24 But how do we get to that discussion.

25 MR. THOMAS: Well, this is Brad speaking. What brought us

1 here is the -- you know, EPA has lowered the ambient air quality  
2 standards over the years and we -- and they developed a new one  
3 in 2010, the one hour NO2 standard, a standard for which  
4 applying modeling requirements as they exist we -- you know, we  
5 can't make the modeling work for that standard.

6 MR. MUNGER: So they've increased the -- they've increased  
7 their -- when you say lower to me that sometimes indicates  
8 that.....

9 MR. THOMAS: Increase (indiscernible).

10 MR. MUNGER: Yeah, that's there decreasing the amount of  
11 regulatory -- well, not regulatory compliance, but raising the  
12 levels of pollutants that can go in the air, but you're saying  
13 they're going less.

14 MR. THOMAS: Yes.

15 MR. MUNGER: Okay.

16 UNIDENTIFIED MALE: They've reduced the number you have to  
17 meet.

18 MS. CASTANO: They've reduced the number, right.

19 MR. MUNGER: Yeah. Okay. I just wanted to make sure.

20 MR. THOMAS: But so like -- I say that because there's an  
21 agenda item here that AOGA and the support industry alliance is  
22 to discuss how the three year averages of the one hour NO2  
23 emissions are calculated. We -- you know, I didn't request that  
24 be put on the agenda, so I assume that somebody else wanted that  
25 discussion. So if we need to have that I can do that.

1           MR. BARRON: Let's jump to it because I think that's kind  
2 of important. Because it gets to be -- I mean we jumped ahead  
3 to the discussion of North Slope drilling operations, but let's  
4 go back and talk about the one hour.

5           MR. THOMAS: Yeah, the standard is -- it's a statistical  
6 standard and the way it works -- the standard is 100 parts per  
7 billion. So when you monitor for compliance or model for  
8 compliance with the standard you look at your -- in any 24 hour  
9 period the highest monitor or model value and you take that and  
10 you set it aside. And you do that for the other 364 days in the  
11 year so that at the end of the year you take the average of all  
12 365 of those daily high readings and that's your number for that  
13 year. Then you do it the second year and do the same thing the  
14 third year and then you average those three numbers for  
15 comparison against the 100 part per billion limit. That's the  
16 statistical nature of the nature. Kind of confusing, but --  
17 actually I think I may have left out critical point. Did I  
18 mention (indiscernible)?

19           MR. BARRON: Yeah, 98th percent.

20           MR. THOMAS: Yeah, I left out a critical point. Yeah,  
21 it's -- so you take -- let me back up. So you got 365 values in  
22 a year and each one of those is the highest for each of the  
23 days. Then you discard the top seven and you take the eight  
24 highest assuming you've got 365 days of valid data. So you take  
25 the eight highest and you do that second year, you do that the

1 third year. Those are the three values you average together to  
2 compare against the standard. Correct? Yes. Okay.

3 MR. MUNGER: So you knock off your highest eight days.....

4 MR. THOMAS: Your highest seven days.

5 MR. MUNGER: .....per year.....

6 MR. THOMAS: Seven days.

7 MR. MUNGER: .....for three years.

8 MR. THOMAS: For three consecutive years.

9 MR. MUNGER: Okay.

10 MR. THOMAS: Yeah. That's how the standard's computed,  
11 how compliance against the standard is computed is with that  
12 method. So it's complicated. That's it, that's the problem  
13 standard. It's a one hour standard, so fluctuations in  
14 operations don't get much credit. You know, when you have  
15 annual standards where the ambient air quality standard for NO2  
16 used to be an annual standard your -- the fluctuations in  
17 meteorology and operations could be taken into account to comply  
18 with that and people did. But when you have a one hour standard  
19 like this that's very difficult to meet because the fluctuations  
20 and differences in meteorology don't come into play so much.

21 MR. BARRON: So is that -- okay. So let's get back to the  
22 -- to what some of the original discussions was about. That --  
23 you said it was a modeling or a measurement.

24 MR. THOMAS: Uh-huh (affirmative).

25 MR. BARRON: Have we done both? I mean have we -- clearly

1 we've modeled it.

2 MR. THOMAS: Yep.

3 MR. BARRON: And.....

4 MR. KUTERBACH: Well, we've modeled the maximum.....

5 MR. BARRON: Right.

6 MR. KUTERBACH: .....and we've measured the actual. We  
7 haven't done the modeling of the actual.

8 MR. THOMAS: Well, we actually did and I just haven't  
9 given you the information yet, so I've got to supply that to  
10 you.

11 MR. BARRON: So -- okay. So the -- what I'm sensing is is  
12 the model fails.

13 MR. THOMAS: When we model potential, sure.

14 MR. BARRON: But I'm also getting the sense that the  
15 actual passes.

16 MR. THOMAS: The actual, it -- when we modeled the actual  
17 emissions for one of our operations it was the CD-3 operation in  
18 Alpine. The actual model output tracks the monitor output, so  
19 you'll see peaks at the same time and you'll dive at the same  
20 time, but we're not getting the magnitude to match up.

21 MR. BARRON: Okay. So on the monitored you would have  
22 passed the threshold.

23 MR. THOMAS: Right.

24 MS. KAUFMAN: Right.

25 MR. BARRON: Okay. That's kind of what I -- I thought you

1 showed some of that data.

2 MR. THOMAS: We did.

3 MS. KAUFMAN: Yeah, we did.

4 MR. BARRON: I'm just trying to recall.

5 MR. KUTERBACH: Did the modeling of the actual -- this is  
6 John. Did the modeling of the actual emissions pass?

7 MR. THOMAS: Not always. Not always. The -- we can't get  
8 the magnitude to line up perfectly. And there's probably a lot  
9 of reasons for that, but it's difficult. So Tom, did I  
10 characterize that accurately?

11 MR. DAMIANA: We can get the magnitude to -- we can the  
12 high points to line up in time, but the magnitudes don't always  
13 -- sometimes they're lower, sometimes they're higher.

14 MR. THOMAS: Right.

15 MR. KUTERBACH: So modeling sometimes under predicts the  
16 monitor.

17 MR. THOMAS: Right. Right.

18 MR. BARRON: Oh, I hate it when that happens.

19 MR. THOMAS: Yeah, it goes both ways.

20 MR. PECK: This is Alan. For the data that you've  
21 monitored, has that been at your ambient station or are you  
22 monitoring in the stack or what's the location (indiscernible)?

23 MR. THOMAS: It's an ambient air quality station right on  
24 the pad.

25 MS. KAUFMAN: On the pad.

1 MR. THOMAS: Yeah, we located -- in the case of Alpine we  
2 located the ambient station so that we were down within the  
3 stacks so that we could capture -- we tried to hit the stations  
4 with the plume's emission if we could.

5 MR. BARRON: Could we retract and get your name on the --  
6 on who asked the question?

7 MR. PECK: Sure. Alan Peck.

8 THE REPORTER: I heard you.

9 MR. PECK: Okay.

10 MS. CASTANO: And then we have two monitoring stations.  
11 This is Alejandra. One on A pad and one between CCP and CGF  
12 which we assume is the highest point of impact for our  
13 operations.

14 MR. MUNGER: Do you do any in stack monitoring on any of  
15 these portable units?

16 MR. THOMAS: On the drill rigs, no.

17 MR. MUNGER: Okay.

18 MR. BARRON: That'd be an interesting -- how would you do  
19 an in stack when you've got all the sources scattered around  
20 the.....

21 MR. MUNGER: You hire a lot of contract hands.

22 MR. BARRON: No, I'm serious. I mean.....

23 UNIDENTIFIED MALE: (Indiscernible).

24 MR. BARRON: .....I mean if it's the boilers and the  
25 heaters and the engines, I mean you've got dozens of sources.

1 MR. MUNGER: Well, I thought that you might take like your  
2 most pollutant source and having it stack monitored. Yeah, that  
3 -- just a question.

4 MR. BARRON: Fair enough.

5 MR. MUNGER: Yeah.

6 MR. KANADY: Bill, it's technically possible. We have  
7 done it, but it would be a lot of work.

8 MR. BARRON: Oh, I can only imagine. Yeah. That's why  
9 I'm asking the -- trying to put Mike down a little bit here, put  
10 him over there. But I think that's part of the problem is that  
11 you've got so many multiple sources and if you're modeling to  
12 the maximum of each one of those sources that always tends to be  
13 kind of that -- you know, you're setting yourself up for  
14 failure.....

15 MR. THOMAS: Yeah.

16 MR. BARRON: .....kind of discussion.

17 MR. THOMAS: Yeah.

18 MR. MUNGER: Coming from a laboratory background somewhat  
19 I've always found that models, that they don't actually reflect  
20 real time data or real data. It's really the fault of the  
21 modeler. You know, it's -- you know, because -- that's just the  
22 way I've always seen it.

23 MR. THOMAS: Yeah.

24 MS. CASTANO: What this model -- this is Alejandra again.  
25 We had discussed this in previous meetings as well, but there

1 are known issues. Air mod is the name of this model and it was  
2 originally developed for these one hour -- I'm sorry, one year  
3 standards that we had before and they're -- basically a lot of  
4 the problems are related to we're now trying to use a model that  
5 was developed for one type of resolution and trying to put onto  
6 one hour resolution.

7 MR. MUNGER: Yeah.

8 MS. CASTANO: There are issues with wind speed and.....

9 MR. MUNGER: Absolutely.

10 MS. CASTANO: .....EPA is very well aware of these. It's  
11 just it's going to take a lot of time.

12 MR. MUNGER: Well, I was being rather flippant. I really  
13 do believe that. I mean when it comes down and you've actually  
14 done real time monitoring and those numbers don't match when you  
15 plug in a -- or when it doesn't fit when you run the model then  
16 there's something to me wrong with the model.

17 MS. CASTANO: Right. And I mean the issues are known, EPA  
18 is aware, but it's just -- it's taking a lot of time to work  
19 through what is a solution from a modeling standpoint. Where we  
20 are is, well, is the solution only modeling or can we maybe look  
21 at other sources.

22 MR. BARRON: So let -- yeah, so let me ask the question in  
23 that regard. What is EPA doing? I mean if they know it's a  
24 problem are they holding the industry to a standard on a model  
25 that they know is false?

1 MR. THOMAS: Well -- this is Brad Thomas speaking. And  
2 I'll let Tom jump in here in a minute, but the EPA acknowledges  
3 that the -- there are modeling issues. There are workgroups  
4 convened nationwide trying to address these problems. BLM's  
5 even working on it to some degree. But in the meantime we still  
6 have to live with the existing standards and approaches and  
7 model. So until that longer term solution is identified we've  
8 got this problem and it's not clear to me that when we come up  
9 with a longer term modeling solution that it's going to be  
10 sufficient to address the magnitude of this issue. So.....

11 MR. BARRON: So I'll take that as a yes.

12 MR. THOMAS: I'm not sure what the question was.

13 MR. BARRON: EPA is holding you to the standard.....

14 MR. THOMAS: Oh, yes. Yeah.

15 MR. BARRON: .....even though the model is wrong.

16 MR. THOMAS: Yeah, that's right.

17 MR. BARRON: Okay.

18 MR. MUNGER: So, there you are.

19 UNIDENTIFIED FEMALE: I'm back. Sorry.

20 MR. MUNGER: He was doing a fine job while you were gone.  
21 He was trying to take us all to a bar.

22 MR. PECK: This is Alan again. One of the things on the  
23 monitoring, correct me if I'm wrong on this part, but my  
24 understanding is there's not been a lot of data that has been  
25 collected nationwide on that. You mentioned had some from the

1 Pebble sites, but as far as what's been available generally to  
2 the public has not been -- is not very detailed. One of those I  
3 think is around Chicago, is metropolitan or areas that the  
4 sources of this data -- the data that has been done with  
5 comparison to modeling. Is that (indiscernible)?

6 MR. THOMAS: I would say -- this is Brad. I would say  
7 that the amount of monitoring data collected around drill rigs  
8 nationwide is probably not great. You know, we've got a lot in  
9 Alaska, but I'm not sure that nationwide that's a common thing.  
10 So that (indiscernible).

11 MS. CASTANO: Maybe in Wyoming would be one place where  
12 they may have (indiscernible).

13 MR. THOMAS: Yeah. In Marcellus shale they're trying to  
14 do it. I mean they're getting involved.

15 UNIDENTIFIED MALE: Yeah. Pretty populated over there.

16 MR. KUTERBACH: Has EPA designated anyplace non-attainment  
17 for the one hour NO-2 standard?

18 MR. THOMAS: No.

19 UNIDENTIFIED FEMALE: I don't think so.

20 MR. KUTERBACH: So they're not really holding.....

21 UNIDENTIFIED MALE: Fair point.

22 MR. KUTERBACH: .....the whole thing accountable.

23 UNIDENTIFIED MALE: Fair point.

24 MR. MUNGER: So for discussion for the workgroup to me is  
25 that I think there's at least some acknowledgement that the

1 model is not the best mousetrap out there. Is there anything to  
2 preclude the state from not -- do you have to -- are you  
3 required to use a model or could you go with monitoring?

4 MS. EDWARDS: Well.....

5 MR. KUTERBACH: It would have to be -- get EPA approval,  
6 but EPA has accepted -- and I don't know in this particular case  
7 with the one hour NO-2. I don't have a specific example. But  
8 EPA has expressed willingness to look at solutions that use both  
9 monitoring and modeling. The concern that EPA has with just  
10 strictly monitoring is that's a look in the rearview mirror.  
11 That's what's already there and it's not predictive. So they  
12 would want to get some way of assuring that the monitoring, the  
13 look in the rearview mirror was -- you know, the road was still  
14 straight ahead of you, you're not making a turn. So they would  
15 want to have some input with modeling as well.

16 MS. EDWARDS: The other -- you know, typically EPA  
17 approves models for use in permitting. So they have approved  
18 models and if you use the approved model you're fine. If you  
19 want to use a different model or do a different approach then  
20 typically you have to get some sort -- I believe you have to get  
21 some sort of an approval to use a non-guideline model. So in  
22 the -- for example, in our situation if we went out and gathered  
23 data and we made improvements to the model so that it worked  
24 better or performed better then, you know, we could go through  
25 that process and try and get that model, you know, approved for

1 use and that's just a process that would have to happen. But it  
2 would take -- you'd have to do the -- you know, you'd have to do  
3 the work, the monitoring and then make the -- you know, try and  
4 imp -- people are always constantly improving models and then  
5 eventually EPA will come up with a new model and it gets  
6 approved nationally. But there are non-guideline models that do  
7 get approved and used for different situations.

8 MR. KUTERBACH: And to be clear, that's dealing with it  
9 permit by permit.....

10 MS. EDWARDS: Right.

11 MR. KUTERBACH: .....you have to use those models. What  
12 we're looking at here is looking at a different approach because  
13 we're not talking about the federally mandated PSD permits.

14 UNIDENTIFIED MALE: Right.

15 MR. KUTERBACH: We're talking about the state SIP. All  
16 right? Which we could have emission standards rather than  
17 permits for different sources.

18 UNIDENTIFIED MALE: Yeah.

19 MR. KUTERBACH: But in order to get that plan approved by  
20 EPA we're going to have to demonstrate that it ensures  
21 compliance with the standard and that demonstration is going to  
22 -- by its very nature is going to have to include modeling  
23 because we're not going to be able to model -- or monitor every  
24 situation that could occur. We model what's there now and what  
25 we have to then prove to EPA is that if we change our program

1 based on that, that that monitoring is going to be  
2 representative of every other situation.

3 MR. MUNGER: Another question, if I may. We've seen other  
4 states that have -- at least for drilling activities have no  
5 permit requirement. The state elected to put it under the SIP  
6 program, this drilling activity. Could the state take it out of  
7 the SIP program and just say agree to air quality monitoring  
8 rather than a model and the feds wouldn't have to approve it one  
9 way or the other?

10 MS. EDWARDS: No, I think the feds would still have to  
11 approve it because it would be a change in our plan.

12 UNIDENTIFIED FEMALE: A change of plan.

13 MR. MUNGER: Well, couldn't you eliminate -- and again, I  
14 go back. It seems to me that we don't have to have this under  
15 the SIP program, that -- I mean when we say we I mean the state.

16 MS. EDWARDS: It -- but it exists today?

17 MR. MUNGER: Uh-huh (affirmative).

18 MS. EDWARDS: So in order to move it we'd have to change  
19 our plan even if we were to remove it. So whether we remove it,  
20 change it, alter it, it's going to go back to EPA for approval.

21 UNIDENTIFIED MALE: Do you think.....

22 MS. EDWARDS: We can't just unilaterally take things out  
23 of our plan once they're approved by EPA. They have to be --  
24 that -- any change would have to be approved again by EPA. So  
25 we would have to prove to them that whatever the change we're

1 going to make it's still going to be as protective as the  
2 program that we currently have there.

3 MR. MUNGER: Okay. So since the state has made its move  
4 in putting it in the program then you have to demonstrate why  
5 you're taking it back.....

6 MS. EDWARDS: We're -- that we -- that if we take it back  
7 out or we do something different that we're still going to  
8 maintain in compliance with the standards.

9 MR. THOMAS: This is Brad.

10 MR. BROWER: Sounds like what happened to our AC of P (ph)  
11 program. That, you know, we were making progress towards making  
12 some changes and they went on for five years and at the end, you  
13 know, there was a sunset clause to put your old one to bed for  
14 awhile and work on your new one going forward and then the  
15 legislature didn't pass the -- an authorizing bill.

16 MS. EDWARDS: Well, and.....

17 MR. BROWER: So things change.....

18 MS. EDWARDS: Things.....

19 MR. BROWER: .....the moment we start to adapt to find --  
20 and fill in the gaps.

21 MS. EDWARDS: Well, and clearly in this case I think the  
22 state has some latitude to change its program, but we have to  
23 recognize that the program already exists within an existing  
24 federally approved structure. So we just -- when we look for  
25 solutions and ultimately we're going to end up running these

1 solutions through -- if it's a change to our plan then we're  
2 going to run those back through EPA. It doesn't mean that they  
3 won't allow them to happen.

4 UNIDENTIFIED MALE: Right, right.

5 MS. EDWARDS: It doesn't mean that we're on any timeline  
6 to do so. It just means that we're going to have to go through  
7 that step. So whatever we do has to make sense both  
8 scientifically, from human health perspective, the whole nine  
9 yards that this is -- this makes sense.

10 MR. BARRON: Which I think is the right thing to do  
11 though. I mean I think Mike's got a good idea that if you  
12 started down the path to take it out of where it is now and you  
13 built a plan that said we're going to continue to monitor and  
14 we're going to continue to fine tune or make modifications to  
15 the models, you know, in concert with actual data and then have  
16 some sort of program that says even though it's rearview mirror,  
17 I mean a lot of -- almost all of your safety programs are  
18 rearview mirror kind of effects.

19 UNIDENTIFIED MALE: Lessons learned.

20 MR. BARRON: But they're lessons learned. You see where  
21 the problems are, you correct problems, you go through training  
22 programs. Right? It's the same concept. You know, you want to  
23 get the near misses recorded, but you never really do, so you're  
24 always dealing with recordables and first aids. Well, that's  
25 kind of what we're dealing with here is you're -- but you're

1 always getting better. You're always finding out where the  
2 hotspots are or where the problem is relative to tools or  
3 equipment and you begin to eliminate those. If that is part of  
4 our program that then I think goes a long way to satisfying EPA  
5 in terms of we're going to base everything on real data, we're  
6 going to find where the problems are, we're going to correct  
7 those problems and continuously improve and not necessarily work  
8 with a model that clearly has deficiencies. You know, of course  
9 nicer words than that would be used, but I mean that --  
10 directionality, I think that's a really good approach toward  
11 where we're trying to get to. But I -- again, that's up for  
12 general discussion, but I think.....

13 UNIDENTIFIED MALE: You were going to say something, Brad.

14 MR. THOMAS: Well, I was just going to ask. I mean if we  
15 did modify the state regulations, you know, modify 18-A (ph), C-  
16 50, to not require permitting for drill rigs, submitted that to  
17 EPA as a SIP amendment and committed to further study this  
18 problem, be it by ambient monitoring, modeling evaluations, do  
19 you think that would be approvable? Do you see a roadblock? Do  
20 you think they would reject that?

21 MS. EDWARDS: I think they would ask us how we're going to  
22 assure that they're not creating a problem and I don't think we  
23 have the data right now to satisfy them. That our new plan --  
24 you know, I think if you put in -- okay, let me just pause it.  
25 Just.....

1 UNIDENTIFIED MALE: Okay, yeah.

2 MS. EDWARDS: .....complete brainstorming here. The idea  
3 you had about, okay, well let's put the monitors in, let's put a  
4 threshold in. That would probably be more sellable to EPA. You  
5 know, okay, if we find that we're -- we're out there monitor --  
6 we -- let's say we did a modeling exercise, maybe not a air mod  
7 exercise. Maybe it's a regional monitoring exercise. We do a  
8 regional modeling exercise. We show that we don't think -- we  
9 believe we don't have any one hour NO2 problems based on our  
10 current activities. Let's say that that -- that we do that.  
11 Let's say that we assemble this monitoring network, we put it  
12 out there. That we think it's fairly representative based on  
13 some regional modeling that we've done to look for where these  
14 hotspots might be or just representative, we get some data  
15 going. But then if we coupled that with, okay, at this level if  
16 we get -- start approaching this level of -- you know,  
17 approaching the level standard. I mean we're at 75 percent,  
18 we're 80 percent of the standard, maybe we're -- at that point  
19 we're going to do something and we said what that was that we  
20 were going to do. That might be a substitute to a permanent  
21 perhaps. But, you know, it would be something we'd have to work  
22 through with them.....

23 MR. BARRON: Right.

24 MS. EDWARDS: .....what's going to be acceptable.

25 MR. BARRON: But, you know, I think one of the advantages

1    though is it would be all activity, just not drilling activity  
2    that we'd be looking at.  Again, because I -- again, we kind of  
3    stumbled into this discussion.

4           MR. MUNGER:  Yeah, one of the things that.....

5           MR. BARRON:  It's not the.....

6           MR. MUNGER:  .....happened while you were gone.

7           MS. EDWARDS:  Sorry.  And I apologize for stepping out for  
8    so long.  Thank you for indulging me.

9           MR. BARRON:  It's not the activity.  Right?  We're  
10   permitting the activity, not the equipment.  But if we do a  
11   regional monitoring program it's the activity of all the  
12   equipment.

13          MR. MUNGER:  All the time.

14          MR. BARRON:  All the time.

15          MR. MUNGER:  Yeah.

16          MR. BARRON:  Which is actually a higher standard.

17          MR. MUNGER:  Much higher.

18          MS. CASTANO:  Which is -- this is Alejandra.  What you're  
19   seeing in the data that we submit for APEC, CCP.....

20          MR. BARRON:  Exactly.

21          MS. CASTANO:  .....all of that is -- we can't segregate  
22   that.

23          MR. BARRON:  You can't segregate it.  So.....

24          MS. CASTANO:  It is everything.

25          MR. BARRON:  So it's actually -- it actually creates a

1 higher standard of evaluation than what's being done by just  
2 modeling the activity because the -- what we stumbled into is  
3 the rig piece of kit is being permitted for the activity even  
4 though it may slide over to the next well, the same kit, doing a  
5 work over isn't permitted. So I'm sitting here -- and that's  
6 about the time my mind kind of almost stopped, going wait a  
7 minute, that's (indiscernible).

8 Yeah, drilling.

9 MR. BARRON: Drilling is permitted, Alice, but work over  
10 is not. But same piece of -- same kit is doing the work.

11 MR. KUTERBACH: Right.

12 MR. BARRON: So.....

13 MR. KUTERBACH: And we actually have -- there's a reason  
14 for that. We actually have a policy that our previous director  
15 I believe approved back in the early 2000s which explained why  
16 some things didn't have to be regulated and other activities  
17 did. And it was based on the emissions. When you're drilling a  
18 hole unless you're on highline power you're going to be using a  
19 lot more fuel and you're going to put out a lot more emissions.  
20 That is the reasoning behind it.

21 MR. BARRON: No, I understand that. But if we go to the  
22 concept that we're kicking around and the -- you know, to me  
23 that -- this is actually elevating -- I mean to satisfy EPA's  
24 concern this would actually be an elevation of standard, not a  
25 degradation.

1           MR. MUNGER: Yeah. I agree. Yeah, I think, you know, if  
2 you look at an overall protection of the environment, if we're  
3 looking at that, you know, I believe what you're saying is -- I  
4 concur with that.

5           MS. CASTANO: So this is.....

6           MR. MUNGER: This was my.....

7           MS. CASTANO: .....Alejandra again. A question about the  
8 monitoring data that we currently have for Alice or for John.  
9 Do you not think that submitting that as part of the case for  
10 making the change would -- that would not be sufficient?

11          MS. EDWARDS: I don't think it would and the reason I  
12 don't think it would is because the monitoring data that you  
13 have, especially at the long-term sites, is -- the sites are --  
14 we talked about how monitors are sited for specific purposes.  
15 So I think you have a number of sites that probably represent  
16 certain types of conditions, but maybe not other types of  
17 conditions. And so the question would be what's the right type  
18 of monitoring network to have to capture the kinds of things  
19 that we want to capture. So, for example, if you have a back --  
20 ongoing background site that by nature a background nature, so  
21 you would need to look at what those -- one, you'd need to look  
22 at what those monitors really represent in the terms of what  
23 they're -- you know, what's the purpose of that monitoring. And  
24 then you'd also need to look at -- over time at what the quality  
25 of that monitoring data is and it may be that it's fine in some

1 instances and in others it may or may not be. It depends on the  
2 rigor at which the data was collected and I don't have that  
3 knowledge myself. But I think when you're looking at source  
4 specific kinds of monitoring, you know, one monitoring site, you  
5 know, it may not represent downwind of the drill rig or it may  
6 not -- you know, it may be that we have to do some -- you know,  
7 for example, if you wanted to prove out a model or approve a  
8 model you would do source specific monitoring at a number of  
9 different locations and then feed that data along with the  
10 operational data and try and improve the model that way. Right?  
11 Whereas if you just want to know what's the -- what's a  
12 generalized ambient concentration in a regional area you may  
13 move away from the sources to get more of a mix of -- you know,  
14 more of the regional aspect of it.

15 MR. MUNGER: More background.

16 MS. EDWARDS: More of a background kind of a  
17 concentration. So it really -- you have to develop your network  
18 in a way -- at least in my mind you have to think about how you  
19 -- what you wanted to accomplish with your network and then --  
20 and what the purpose of that network is and then you would site  
21 monitors accordingly.

22 UNIDENTIFIED MALE: Okay.

23 MR. THOMAS: So this is Brad. Maybe it's not as hard as  
24 what you're suggesting because we can actually model compliance  
25 with every pollutant, with every (indiscernible) period except

1 one. That's the one hour NO2. And the stations we have, at C-3  
2 we had -- at C-3 we have on CD-1 the one on A Pad. I don't  
3 think there's -- those capture one hour NO2 impacts. So if  
4 you're on the pad just about anywhere the wind's going to blow  
5 from the rig to the station for one hour periods frequently. So  
6 we have the data to show compliance with the one hour NO2  
7 standard. We can model compliance with everything else. So  
8 maybe it's not that difficult.

9 MR. KUTERBACH: Well.....

10 MS. EDWARDS: Go ahead.

11 MR. KUTERBACH: This is John. To -- we're all here  
12 discussing what we think the king will say. Why don't we invite  
13 the king to the (indiscernible).....

14 MS. EDWARDS: King to the table.

15 UNIDENTIFIED MALE: Right.

16 MR. KUTERBACH: .....and find out?

17 MS. EDWARDS: And find out what they would say. You know,  
18 we don't have EPA here, so we can't speak for what EPA would be  
19 looking for. We.....

20 UNIDENTIFIED MALE: Well, we can always speculate.

21 MS. EDWARDS: We can speculate. I mean we have EPA  
22 engaged at some level. They're aware of our effort. If we want  
23 to have an idea of what EPA would be interest -- would want to  
24 see we could ask them that question. They're going to ask a lot  
25 of questions back.

1           MR. BARRON: Well, and that was -- this is Bill. That's  
2 the concern I've got right now. As we've kind of just scratched  
3 the surface with this bit of an idea I think it might be between  
4 now and our next meeting maybe a few people getting together and  
5 if you could scratch out a little bit more. I mean we've got a  
6 little bit of a straw man right now. If you could put some more  
7 meat on the bones of that skeleton in terms of what kind of  
8 program, where would you have your monitors, what would you be  
9 looking at and, you know, what's the duration. You know, what  
10 kind of threshold would you be establishing as, you know,  
11 tripwires of creating, you know, other actions to be taken. I  
12 mean if we can sketch that out a little bit between now and our  
13 next meeting, you know, that might have some value because then  
14 we could kick it around as a team and then maybe bring EPA in  
15 and say this is what we're thinking about, this is the -- a more  
16 greater, you know, sketch out than what we've got in the last  
17 two hours and then see -- and then get their feedback. I would  
18 hate to bring them in with what we've got right now.

19           MR. MUNGER: Yeah. And -- if I may, this is Mike. I've  
20 found that I don't care who you are organizationally wise that  
21 you -- if you're injected into a process, something like this,  
22 you're going to go with basically a CYA from an organizational  
23 standpoint. I think it'd be a little more appropriate for the  
24 state and the EPA to have some offline discussions about this a  
25 little bit, at least maybe possibly have the feds give us some

1 direction on it. You know, so.....

2 UNIDENTIFIED MALE: (Indiscernible).

3 MR. MUNGER: .....possibly go down that road first because  
4 I -- you know, if we sent an EPA representative here today or in  
5 the next meeting and say, well, what do you want they're going  
6 to go -- well, they're going to go with their (indiscernible).  
7 You know, I don't think it would get a good candid discussion.  
8 And I speak from personal experience with organization to  
9 organization with the (indiscernible). I've found the EPA  
10 extremely difficult to deal with, you know, on any manner. So I  
11 would encourage the state to have at least some directional  
12 conversation with them as far as, you know, this is what we've  
13 been kicking around in the workgroup, can you give us any  
14 suggestions on which way that you might see this. Just a  
15 suggestion.

16 MR. THOMAS: Alice, we got 20 minutes left in the meeting  
17 and.....

18 UNIDENTIFIED FEMALE: Wow.

19 MR. THOMAS: .....I've got this urge to make a proposal,  
20 but I don't want to do it unless I can caucus with your group,  
21 so could I get five minutes to caucus with.....

22 MS. EDWARDS: Yeah.

23 MR. MUNGER: To talk amongst yourselves?

24 MS. EDWARDS: Yeah.

25 MR. THOMAS: Yeah, so the.....

1 UNIDENTIFIED MALE: Yeah.

2 MR. THOMAS: .....support district folks, (indiscernible).  
3 By the elevator.

4 MR. BROWER: I got a question for you. This is the same  
5 line you're talking about, program change that needs to go back  
6 to get approval from EPA. In a program change, does that  
7 include your approach to the problem, to -- your approach to the  
8 drill rig itself in permitting that or doing a registration or a  
9 certification?

10 MS. EDWARDS: So if we were to change our approach?

11 MR. BROWER: Yeah, just sort of like permitting, but it's  
12 just applying that this rig is in compliance and then the data  
13 review for it being the five years from the -- just thinking out  
14 of the box here. Seems like to me if you want to make changes  
15 to our program and it seems like the state had elected to review  
16 drill rigs as a problem for the state to be able to maybe  
17 (indiscernible) to doing it without looking at all the different  
18 other approaches that could have been used. And our -- probably  
19 our need to look at the situation more holistically so we could  
20 know what it is we should be really regulating with that type of  
21 approach. And I think of think and feel the same way, that that  
22 approach also kind of elevates to a -- like we're doing a better  
23 job of trying to identify where the problem is.

24 MS. EDWARDS: So I think we can change our program. We'd  
25 have to get approval of the change to our program. We could

1 change it to something -- I'm sure we can change it to something  
2 else, but we would have to -- we wouldn't avoid a federal  
3 approval step I don't think. I think if we make significant  
4 changes we go through that federal approval step, but if we do  
5 it right we can look at different approaches to things. But I  
6 think because it's in regulation now we still would have to go  
7 through that federal approval step.

8 MR. BROWER: It would be a change. The other part and I  
9 do support the idea that -- you know, getting somebody like from  
10 EPA to come in and throw something at them would -- I always see  
11 applicants come in and when they got to go from a -- in front of  
12 a planning commission even just to do informational and then  
13 they got a decision to make later on down the line that you  
14 don't -- you state your case. You make a case that's palatable  
15 and able to be bought and sold. And, you know, you just don't  
16 throw in something without data and.....

17 UNIDENTIFIED MALE: Yeah.

18 UNIDENTIFIED MALE: Yeah.

19 MS. EDWARDS: Right. Well, and I don't want to take this  
20 conversation too far because we don't have everybody else in the  
21 room.

22 UNIDENTIFIED MALE: Right.

23 MS. EDWARDS: But the one thing I will say is all of the  
24 past program that now in place has been through regulatory  
25 process. It's been through public review, it's been through EPA

1 review. So at the time this was -- that was -- that seemed like  
2 the approach that everybody could live with and that's what we  
3 have today and that's fine. If want to -- but if we want to  
4 change it then we go back through those.....

5 UNIDENTIFIED MALE: We just go through that process.

6 MS. EDWARDS: .....types of processes again.

7 UNIDENTIFIED MALE: Correct.

8 MS. EDWARDS: So -- but I think we just need to recognize  
9 that the program has maybe not been perfect, but it's been  
10 working up to this point and what's changed are these new  
11 standards. And that's.....

12 UNIDENTIFIED MALE: Right, standards. Right.

13 MS. EDWARDS: .....and that's creating this need to relook  
14 at how we're doing things and.....

15 MR. BARRON: Which justifies the -- which justifies why  
16 we're here.

17 MS. EDWARDS: Right.

18 MR. BARRON: I mean what.....

19 MS. EDWARDS: Which is why we need to go back and relook  
20 at it again.

21 MR. BARRON: .....what we had was reasonably working. You  
22 know, a change.....

23 UNIDENTIFIED MALE: Yeah, it seemed to be working okay.

24 MR. BARRON: .....change has occurred, so we need to  
25 reassess ours. And I kind of like some of Gordon's thoughts

1 about, you know, having one part of the reg being if equipment  
2 is modified, you know, tier three or tier four engines, et  
3 cetera, whatever that might be or whatever other causality takes  
4 place, you know, that could be a whole different subsection in  
5 the regs to say then that -- then this piece does this. And I  
6 think that would play well to the EPA as well is to show that  
7 there's an upgrade of equipment, a change of fuels. You know,  
8 those kind of things are in part of the discussion. I think  
9 that's a sub-piece of the whole part. Right? I think it's a  
10 piece of the puzzle.

11 UNIDENTIFIED FEMALE: We're back.

12 UNIDENTIFIED MALE: That's quite the herd (indiscernible).

13 MS. EDWARDS: So it looks like we're all back. I will say  
14 did not -- we didn't stop chatting while we were in the room --  
15 while you left the room. So -- but we did -- you know, the  
16 couple things we talked about, Gordon had brought up -- had  
17 asked me a question about changes and of course I don't think  
18 there was anything really new added there. But I did make the  
19 point that, you know, all of the current programs originally  
20 went through, you know, rulemaking and public comment and the  
21 same thing on the EPA side. And so this is really an -- you  
22 know, an opportunity for us given the change to the standard  
23 which seems to be causing, you know, sort of the hiccups that  
24 we're having with our program. Our program probably was never  
25 perfect, but it was working until we had the one hour standard.

1 And so now is a good chance for us as a group to reevaluate how  
2 we do -- how we're doing business with regard to this, but in  
3 order to change it we go through the same types of rulemaking,  
4 public comment and federal approvals that we went through in the  
5 first place. So, you know, that was sort of the discussion we  
6 were having when you guys were out of the room, so.

7 MR. MUNGER: And what'd you guys talk about?

8 MR. THOMAS: Well.....

9 MS. EDWARDS: Let him tell you.

10 MR. THOMAS: Yeah, it's just a follow-up to what Bill  
11 suggested. You know, it seems like we're at the point now at  
12 the next meeting where we can start talking about what do we do,  
13 how do we -- you know, what's the solution. So what I wanted to  
14 talk to the group about was us getting together and crafting a  
15 concept, a conceptual solution, a proposal to bring the larger  
16 group here to put on the table for the next meeting to begin  
17 talking about will that work and if you guys are encouraged by  
18 it. And it really is built on what Bill suggested. If you guys  
19 think that'll work, you know, what do we have to add to it or  
20 what do we need to augment it with or take away from it to make  
21 it saleable. But make -- the next meeting, make that the focal  
22 point of the next meeting so that we can start to work towards a  
23 solution. That's the point I wanted to propose.

24 MR. BARRON: I would go for that. I mean we got to start  
25 putting some meat on some bones somewhere.

1 MS. EDWARDS: Mike, Gordon?

2 MR. MUNGER: What's that?

3 MS. EDWARDS: What do you think?

4 MR. MUNGER: I agree with that. One of the things I  
5 haven't said out loud is I so appreciate DC and particularly the  
6 Air Quality Program with the willingness to sit down and even  
7 discuss this in this context.

8 MR. THOMAS: Me too.

9 MR. MUNGER: It's.....

10 UNIDENTIFIED FEMALE: Agreed.

11 MR. MUNGER: .....it's very encouraging for me and it just  
12 goes to show -- well, I just think DC in general is a quality  
13 group, one, since I used to work for them. But no, just the  
14 willingness to do this is a real breath of fresh air, so I  
15 appreciate it.

16 MR. BROWER: Yeah, I think it's a good approach. You  
17 know, I mean somebody else would want to bring in a -- you know,  
18 a program change for us to review as well. You know, if we had  
19 a couple ideas of things that could potentially evolve into  
20 something that's very workable.

21 MS. EDWARDS: I know, Gordon, you've had I think some  
22 really good -- you've brought to the table a number of really  
23 good ideas today too and -- that I think are worth trying to  
24 incorporate into -- conceptually into what we're doing. So  
25 hopefully we can kind of keep the discussion at the table in

1 mind as you guys are.....

2 UNIDENTIFIED MALE: Yeah.

3 MS. EDWARDS: .....thinking about the conceptual --  
4 something conceptual to put together that we can work from.

5 UNIDENTIFIED MALE: Yeah.

6 MS. EDWARDS: Because I think there's been a number of  
7 really good ideas brought to the table. And again, I do  
8 apologize for stepping out for as long as I did.

9 MR. BARRON: No, no, that's fine. And as well while you  
10 guys stepped out that was one of the -- part of the discussion  
11 we had was having a piece of the proposal embracing some of the  
12 ideas that Gordon's been bringing is, you know, having an  
13 opportunity to do equipment upgrades, changes on the equipment  
14 itself would add to, you know, a different phase of the program  
15 or a different phase of an application. So go to tier three or  
16 tier four engines or different kind.....

17 UNIDENTIFIED MALE: Catalytic converter.

18 MR. BARRON: .....or emission controls or whatever would  
19 kind of put you in a different category kind of discussion as an  
20 option for potential regs or discussion with EPA. So as you  
21 guys think that one through that was kind of where we were kind  
22 of embracing that as a subset. You can.....

23 MS. EDWARDS: Something where if you had some sort of a  
24 best control scenario that that would put you into perhaps a  
25 different category.....

1 MR. BARRON: Right.

2 MS. EDWARDS: .....of whatever we come up with.

3 MR. BARRON: And it's just kind of the soup and nuts kind  
4 of discussion of trying to give EPA everything we can, give the  
5 general public everything we can, this is how we're protecting  
6 the environment. We've got -- you know, we're going to manage  
7 it by monitoring, we're going to manage it by modeling and we're  
8 going to manage by equipment upgrade. I mean I don't think you  
9 can get much better than that. So I mean as you think that one  
10 through you might want to figure out how to include some sort of  
11 branch of the system to include that. Or not and we'll figure  
12 out a way to add it on.

13 UNIDENTIFIED MALE: Yeah.

14 MR. BROWER: You know, I think it's good to be innovative  
15 and think about different things. And this kind of brings to  
16 some of the concerns the borough had in one of our villages in  
17 Point Lay about the excessive electricity draw and the amount of  
18 fuel and we're changing over to (indiscernible) sulfur and that  
19 we couldn't maintain our permit. And one of the things that  
20 they were -- made changes to was the use of electricity for heat  
21 trace and use the community's power plant and change that to  
22 waste heat recovery looped around many utilidors underground and  
23 develop that technology in reducing that draw of energy to stay  
24 within those things. So I mean I could look at the need to heat  
25 space for well pipe racks and stuff. Maybe it's a different

1 sort of heat, you know. Could be baseboard based on the waste  
2 heat that's being funneled through a fan and escaping, that  
3 you're just capturing this waste heat and heating up your pipe  
4 racks.

5 MS. THOMAS: Yeah, we'll include that in our discussion we  
6 have before the next meeting for sure and bring back to the  
7 meeting I guess our views, our thoughts on how to do it.

8 UNIDENTIFIED MALE: So when.....

9 MS. CASTANO: When is.....

10 UNIDENTIFIED MALE: .....when is it?

11 MS. EDWARDS: So when do you guys.....

12 UNIDENTIFIED MALE: Good question.

13 MS. EDWARDS: Yeah, I was going to say when do you guys  
14 want to get together again. It's at -- it's what, August 22nd  
15 now. So.....

16 MR. BARRON: Kind of put this on a four week calendar?

17 MR. THOMAS: Yeah.

18 MS. EDWARDS: Four weeks out would be the 19th.

19 MR. BARRON: That'll work.

20 UNIDENTIFIED MALE: Yeah. That's -- Thursday's the 19th?

21 MS. EDWARDS: Thursday's the 19th.

22 MR. BARRON: Oh, 19th?

23 UNIDENTIFIED FEMALE: Yeah.

24 MR. THOMAS: So let me write that -- I'll.....

25 UNIDENTIFIED MALE: Of what date?

1 MS. CASTANO: I'll probably be.....

2 MS. EDWARDS: September.

3 MS. CASTANO: .....on the Slope, but maybe I can call in  
4 for part of that.

5 MS. EDWARDS: Is there a different day that would work  
6 better for you.....

7 MS. CASTANO: Let's see.

8 MS. EDWARDS: .....that week? How much time do we need to  
9 pull things together I guess is the real question.

10 MR. THOMAS: That's enough time for (indiscernible).

11 UNIDENTIFIED MALE: (Indiscernible) question is, is four  
12 weeks adequate for you?

13 MR. THOMAS: To come up with a concept I believe so, yeah.

14 MS. EDWARDS: What else -- besides the concept is there  
15 anything else that we would want to have at that next meeting?

16 MR. MUNGER: Do you know -- you know, one of the things  
17 that I brought up before, do you think discussions with the EPA  
18 between the State would be (indiscernible) here or not at this  
19 time?

20 MR. BARRON: Well, I think we need to wait to see what the  
21 proposal is to give us the framework to talk to EPA about it.

22 MR. MUNGER: Okay.

23 UNIDENTIFIED MALE: I would think so.

24 MR. BROWER: I just wanted to say, you know, September  
25 19th, for me it's problematic. I -- it's -- I don't know that

1 I'm going to have an alternate at that time yet too. I need to  
2 work on that. I'm.....

3 MS. EDWARDS: So is there a time that's better for the two  
4 of you?

5 MS. CASTANO: We probably will have an AOGA person here  
6 anyway, so I can just listen. So it's not critical for me. I'd  
7 like to be here, but if it's.....

8 UNIDENTIFIED MALE: What about the following week?

9 MS. EDWARDS: Yeah, I was going to say what about the week  
10 of the 23rd? And it doesn't have to be the Thursday. We could  
11 pick a different day of the week.....

12 MS. CASTANO: Okay.

13 MS. EDWARDS: .....if we want to too, so.

14 MR. BROWER: Well, you know, there's different things I  
15 can do. I mean they pick me up for my -- the thing is I go to  
16 my camp.

17 MS. EDWARDS: Oh.

18 MR. BROWER: It's 70 miles outside of Barrow in MPRE and  
19 I'm there for about 30 days fishing, caribouing for my  
20 community.

21 MR. THOMAS: Is that the whole month of September or is  
22 it.....

23 MR. BROWER: It's about September 13 to about October 10.  
24 Yeah, until the fish runs are over and the caribou  
25 (indiscernible).

1 MS. EDWARDS: So.....

2 MR. BROWER: But they've done things before. You know,  
3 the planning commission has requested they pick me up, they pick  
4 me up with a chopper and (indiscernible).

5 UNIDENTIFIED MALE: Can't get away from them.

6 MR. BROWER: And then they drop me back off, so.

7 MS. EDWARDS: What about the -- do you guys want to wait  
8 till mid October, you think that's too long?

9 MR. BARRON: I think that's too long.

10 UNIDENTIFIED MALE: Yeah.

11 MR. BARRON: .....And I think that, you know, the  
12 goal.....

13 UNIDENTIFIED FEMALE: Might be.

14 MR. BARRON: .....the original goal of the group was to  
15 try and get something place by the end of the year.

16 MR. THOMAS: What if we.....

17 MR. BARRON: And I'm just concerned that I mean.....

18 MR. THOMAS: It's aggressive, but I think we could  
19 probably do it before the 13th.

20 UNIDENTIFIED MALE: The 12th? The Thursday?

21 I mean the burden is on you guys. All right? I mean if  
22 you're going to step up that's great, but, you know, I mean we  
23 got to think that one through.

24 MS. EDWARDS: What's your schedule like?

25 MR. KUTERBACH: I don't know for certain. I'll have to

1 check, but.....

2 UNIDENTIFIED MALE: You said the 13th of September?

3 MS. EDWARDS: Well, the 13th of September's a Friday.

4 MR. BROWER: You know, I'm usually getting.....

5 UNIDENTIFIED MALE: .....

6 MR. BROWER: .....by -- just before freeze-up and I get  
7 frozen up at my camp.

8 MS. EDWARDS: I mean that's only two weeks out. I.....

9 UNIDENTIFIED MALE: Yeah.

10 MS. CASTANO: Maybe a little too short, yeah.

11 MS. EDWARDS: .....that's too short. We can't even notice  
12 a meeting that quickly I don't think.

13 UNIDENTIFIED MALE: I can't possibly (indiscernible).

14 UNIDENTIFIED MALE: (Indiscernible) public standpoint.

15 MS. EDWARDS: Well, maybe we should just go ahead and look  
16 at either the week of the -- you know, the 19th -- you know,  
17 around the 19th or the following week perhaps.

18 MR. BARRON: Let's try and set it up for the week of the  
19 19th and then, Gordon, maybe you and I can try and figure out  
20 something or we can have somebody that -- from -- you know, come  
21 in on your stead or somebody on the phone call. Maybe we can --  
22 somebody from Barrow can call you or.....

23 MR. BROWER: I do bring a satellite phone, so I'm always  
24 on. I bring my own satellite phone.

25 MR. TURNER: So, Gordon, respecting absolutely need to go

1 get fish and we understand, is there a way to -- is the fish run  
2 usually over with the first week of October if it was delayed a  
3 little bit? It is absolutely.....

4 MR. BROWER: That's something I don't control. Mother  
5 nature (indiscernible).

6 UNIDENTIFIED MALE: (Indiscernible).

7 MR. BROWER: September (indiscernible) we've got to have  
8 nets under the ice.

9 UNIDENTIFIED MALE: Okay.

10 MR. BROWER: Between September 13 and about October 1,  
11 caribou in their prime.

12 UNIDENTIFIED MALE: Right.

13 MR. BROWER: And then I switch over from caribouing to  
14 putting nets under the ice when they start to spawn. And I  
15 don't just fish for myself. I fish so much that I'm hauling my  
16 catch in November, December, January with snow machines back to  
17 Barrow and people are coming to get it. It's just my family's  
18 been doing that for 100 years.....

19 MS. EDWARDS: What.....

20 MR. BROWER: .....and that's just part of the culture.

21 MS. EDWARDS: What if we delayed the meeting of the  
22 workgroup, but we got a smaller group. So you conceptually pull  
23 something together and then maybe we get a smaller group  
24 together so that then we could maybe go and have a discussion  
25 with our contact at EPA about conceptually what you're thinking

1 and then we have a -- wait a little bit till Gordon can be back  
2 for the next full meeting. But maybe have some sort of a  
3 subgroup that's working this a little bit in between.

4 MR. BARRON: Yeah, I -- that would be fine. I mean I  
5 just.....

6 MS. CASTANO: I'm okay with that.

7 MR. BARRON: I mean, again, I'm not trying to mash the  
8 accelerator. I'm just being -- trying to be true to the  
9 original scope of the team.

10 MS. EDWARDS: No, and I understand. I think we need to  
11 keep things moving, but if -- say it took you a couple weeks to  
12 formulate a concept and then if you'd be willing to share that  
13 by email with the group or you felt comfortable with it going on  
14 the web, whatever.

15 UNIDENTIFIED MALE: Right. Right.

16 MS. EDWARDS: We could post it and then maybe the -- maybe  
17 a smaller group, folks from our shop and, you know, we can.....

18 UNIDENTIFIED MALE: Sure. We could have a critiquing,  
19 yeah.

20 MS. EDWARDS: .....take a look at it and then maybe start  
21 having some initial directional dialogue with EPA and then maybe  
22 come back a little later with our full meeting and have a little  
23 more information.

24 MR. BARRON: Sure. I could go with that. Yeah, that's  
25 fine.

1 MR. WEDIN: I'm fine with that.

2 MS. EDWARDS: Okay. So why don't we -- all right. Not to  
3 put too fine a point on this, let's say -- so if by the -- let's  
4 say by the 19th, Brad, maybe we can set up a -- you know, we can  
5 share something on conceptually what you guys are thinking.

6 UNIDENTIFIED MALE: Is it time for us to go?

7 UNIDENTIFIED FEMALE: We are closing up. So could I talk  
8 to Tom?

9 UNIDENTIFIED MALE: Me.

10 MS. EDWARDS: And then, you know, perhaps if that can get  
11 emailed around then people can add some input, we can maybe have  
12 some initial discussion with EPA directionally on it and then  
13 maybe try and then schedule a meeting and -- you know, a couple  
14 weeks into October so that Gordon has a better shot of.....

15 UNIDENTIFIED MALE: No, I think that's fine.

16 MS. EDWARDS: .....participating.

17 UNIDENTIFIED FEMALE: That works.

18 UNIDENTIFIED MALE: We better wrap it up. We're going to  
19 get locked in.

20 UNIDENTIFIED FEMALE: Oh, wow.

21 THE REPORTER: I got to break down still.

22 UNIDENTIFIED MALE: Yeah.

23 MR. BROWER: In the meantime I'll try to get an alternate  
24 as well.

25 MS. EDWARDS: Okay.

1 UNIDENTIFIED MALE: Okay. That'd be good.

2 MS. EDWARDS: So why don't we -- and Gordon, did you say  
3 that you're usually off -- or back in around the 10th?

4 MR. BROWER: Yeah.

5 MS. EDWARDS: So maybe we can look at the week of the 14th  
6 for a meeting.....

7 UNIDENTIFIED MALE: Okay.

8 MS. EDWARDS: .....of this group again. And in the  
9 meantime we can work off -- sort of offline amongst ourselves  
10 and try and share some ideas and get some more input so that we  
11 have some direction of the -- you know, have a little more  
12 information at the next.....

13 MR. THOMAS: Okay.

14 MS. EDWARDS: .....next meeting.

15 MS. CASTANO: The plan.

16 MR. THOMAS: Very good.

17 UNIDENTIFIED MALE: Agree.

18 MR. THOMAS: Good meeting.

19 UNIDENTIFIED MALE: Yeah, very good meeting. Thanks  
20 everybody.

21 MS. EDWARDS: Thanks everybody for taking the time.

22 THE REPORTER: Okay. We're off the record at 4:59.

23 (Off record at 12:32 p.m.)

24

25

TRANSCRIBER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, Nicolette Hernandez, hereby certify that the foregoing pages numbered 2 through 159 are a true, accurate and complete transcript of proceedings of the Workgroup for Global Air Permit Policy Development for Temporary Oil and Gas Drill Rigs, held August 22, 2013, in Anchorage, Alaska, transcribed by me from a copy of the electronic sound recording to the best of my knowledge and ability.

\_\_\_\_\_

\_\_\_\_\_

Date

Nicolette Hernandez